

Monday, 20 April 2026

1  
2 (2.10 pm)  
3 **THE CHAIR:** Yes, Mr Carr.  
4 **MR CARR:** Chair, the next witness is Professor John Morgan.  
5 **PROFESSOR JOHN MORGAN (sworn)**  
6 **Questioned by MR CARR**  
7 **MR CARR:** If we can start, please, with your full name.  
8 **A.** I'm John Farnill Morgan.  
9 **Q.** You prepared for the Inquiry a statement dated  
10 3 December 2025.  
11 **A.** Correct.  
12 **Q.** Are its contents true to your best knowledge and belief?  
13 **A.** That's correct.  
14 **Q.** In your statement you set out your professional  
15 background, don't you?  
16 **A.** I do.  
17 **Q.** I'm going to summarise that very briefly. You were  
18 a medical doctor and consultant psychiatrist retiring  
19 from the NHS in 2021.  
20 **A.** Correct.  
21 **Q.** During your NHS career, you were Associate Medical  
22 Director at Leeds and your partnership NHS Foundation  
23 Trust.  
24 **A.** Yes.  
25 **Q.** Your speciality within psychiatry was eating disorders.

1

1 **Q.** Now a point that you've emphasised more than once in  
2 your statement is that your active involvement in this  
3 area of policy essentially came to an end in 2016 with  
4 the publication of that report.  
5 **A.** Correct.  
6 **Q.** So your evidence is mainly concerned with the work that  
7 you did and the publication position in 2016.  
8 **A.** Yes.  
9 **Q.** You can't help us, can you, with the reason or reasons  
10 why the guidance wasn't revised in 2021 as had been the  
11 intention at publication?  
12 **A.** No, I'm sorry, I can't.  
13 **Q.** Before we turn to the guide, early in your post as Chair  
14 of the Working Group, you had an article published in  
15 the British Medical Journal.  
16 **A.** Correct.  
17 **Q.** If we can turn that up, it's WITN0058009.  
18 In this article you argued in favour of emphasising  
19 risk in psychiatric practice.  
20 **A.** That's correct.  
21 **Q.** If we look at the columns on the left, second paragraph,  
22 final sentence, you state:  
23 "Psychiatry risk assessment processes are flawed,  
24 misdirected, and innumerate, but risk remains  
25 a fundamental component of psychiatry, as in all

3

1 **A.** It was initially a branch called Liaison Psychiatry and  
2 then later Eating Disorders.  
3 **Q.** Initially a branch called?  
4 **A.** Liaison Psychiatry.  
5 **Q.** Academically you have held the place of Honorary Senior  
6 Lecturer and visiting Professor at St George's Hospital  
7 Medical School.  
8 **A.** Correct.  
9 **Q.** Since your retirement in 2021, you have continued to  
10 undertake medicolegal work?  
11 **A.** Correct.  
12 **Q.** The statement you prepared for the Inquiry focuses on  
13 the work that you undertook in your capacity as chair of  
14 the Patient Safety Expert Guidance Working Group under  
15 the Royal College of Psychiatry.  
16 **A.** That's correct.  
17 **Q.** You held that role from 2013 to 2016.  
18 **A.** Yes.  
19 **Q.** The working group produced both a report and a guide in  
20 2016 on assessing the risk to others.  
21 **A.** Yes.  
22 **Q.** The report being the fuller document, and then there was  
23 a guide annexed to it, which was an *aide-mémoire*,  
24 almost, for practitioners.  
25 **A.** Correct.

2

1 medicine."  
2 **A.** Correct.  
3 **Q.** Now, when you're describing risk assessment processes as  
4 flawed, are there specific processes that you're  
5 referring to?  
6 **A.** No, I'm talking generally about risk and being an  
7 inevitably flawed process based on the mathematics of  
8 balancing false positives and false negatives. There  
9 can never be a perfect instrument, so one is looking for  
10 the correct balance.  
11 **Q.** That's because you're measuring risk and you can't be  
12 certain on outcomes.  
13 **A.** Exactly.  
14 **Q.** But notwithstanding that limitation you recognised the  
15 assessment of risk as fundamental to psychiatry as in  
16 all medicine, nonetheless.  
17 **A.** Exactly.  
18 **Q.** If we turn, please, to the second page of this article,  
19 left-hand side, final paragraph you write:  
20 "Most worrying, the process of 'risk assessment'  
21 becomes a tick box process separated from clinical  
22 examination."  
23 And you go on in the same paragraph to refer to  
24 a survey describing this was "often divorced from mental  
25 state examination".

4

1 What, in your view, is the importance of combining  
2 or including risk assessment within the clinical  
3 examination?

4 **A.** It is crucial. So I'm arguing in favour of  
5 a combination of actuarial tick boxes and clinical  
6 assessment, and what I was trying to do politically at  
7 the time of the committee and report was to bridge some  
8 dichotomies that were arising in mental health between  
9 the two extremes, between the body of clinicians that  
10 felt that actuarial measures were useless and should be  
11 abandoned, and clinicians who felt there was something  
12 that was so reliable they could be hidden behind.

13 So the important thing was to consider it really on  
14 the basis of the good evidence on risk management in  
15 other areas of which the airline industry and  
16 engineering were the two prime examples, whereby a pilot  
17 would have a tick box of things they checked before they  
18 set off on their plane, without which they couldn't be  
19 certain they'd remembered everything. But equally, if  
20 they had got a hunch that their plane wasn't operating  
21 properly, they should also be able to rely on the hunch.  
22 So the combination of your clinical experience and the  
23 checklist, not one or t'other.

24 **Q.** So using both. We see the top paragraph on the  
25 right-hand side your manifesto, as you describe it, you

5

1 through in terms of detail, but I do think that  
2 clinicians can arrogantly think their clinical judgement  
3 is sufficient and they don't need to rely on any tick  
4 boxes, and I think *aide-mémoires* are limited and  
5 therefore sitting in a clinic ticking boxes saying this  
6 person is a man who uses drugs and has a history of  
7 violence, for example, is necessary, but not sufficient.

8 And the concern is that if the *aide-mémoire* is  
9 relied wholly upon, then it can prevent people acting on  
10 the outcomes of the risk assessment. But equally,  
11 I balance that against understanding the need to have an  
12 *aide-mémoire* without which these arrogant clinicians can  
13 simply assume that their judgement is correct and they  
14 forget the basics of what's needed. So it has to be  
15 a balance between the *aide-mémoire*, the risk assessment  
16 form, and the clinical judgement; it can't be one or  
17 t'other.

18 **Q.** Thank you. We can take that articles down and if we  
19 turn now to start considering the 2016 report. It was  
20 building, wasn't it, on a previous Royal  
21 College publication from 2008, entitled "CR-150  
22 Rethinking Others in Mental Health Services"?

23 **A.** Correct.

24 **Q.** In paragraph 14 of your statement you describe that "By  
25 2013 ..." so this is when you commenced with the working

7

1 state:

2 "We need to return emphasis on risk in psychiatry to  
3 clinical examination, by systematic evaluation of signs  
4 and symptoms. We need to reposition risk assessment  
5 forms as nothing more than helpful *aide-mémoires*."

6 So is that the process that you're describing there,  
7 bringing the assessment within -- the risk assessment  
8 within the examination process?

9 **A.** It is, and in my academic background, my greatest fame,  
10 for want of another word, was developing an *aide-mémoire*  
11 for screening for eating disorders, a very simple,  
12 simplistic five questions which is now used around the  
13 world in every country translated into all sorts of  
14 languages, in order to screen people within about  
15 a minute. So I'm not dismissing *aide-mémoires*, but I'm  
16 saying one has to recognise that they had limitations.  
17 They're necessary, but they are not sufficient.

18 **Q.** You described a few moments ago a dichotomy in practice  
19 in psychiatry at the time you produced this report. Was  
20 it your view that to a large extent risk assessments  
21 were nothing more than helpful *aide-mémoires*?

22 **A.** No, I think this was a rhetorical journalistic style  
23 I adopted. This was an article wrote for the BMJ, it  
24 was very much a fun debate between two extremes as part  
25 of a series of debates. So this wasn't as thought

6

1 group:

2 "By 2013 the College decided that a revision was  
3 required, in light of changing commissioning  
4 arrangements in the NHS, evolving service structures,  
5 and ongoing concerns about how risk was conceptualised  
6 and managed."

7 What were those concerns?

8 **A.** I think they are exactly the same concerns that Dr Diss  
9 (*sic*) has later reported to this Inquiry, which are  
10 actually magnified since then: that services are  
11 becoming fragmented; there is a lack of joined-up  
12 thinking; different agencies work in a different way;  
13 that it's hard to get hold of historic information; that  
14 risk itself is dynamic, it changes day-to-day, so you  
15 can sit on a MAPPA committee one day and then the  
16 position may be changed the next week, but there isn't  
17 sufficient dynamism in these processes to adapt to the  
18 changing situation.

19 And furthermore, that the philosophies that  
20 underpinned crisis services, based on Assertive Outreach  
21 teams, have been lost through the asset stripping of  
22 these teams to cut costs.

23 **Q.** So if I can break down your answer, so far as  
24 conceptualisation of risk, you're referring there to  
25 dynamic risk versus static risk.

8

- 1 A. Correct.
- 2 Q. The concerns being that risk wasn't being considered as  
3 dynamic, and then the concern about management of risk  
4 is to do with fragmentation of services.
- 5 A. Correct.
- 6 Q. So far as the need for further work following the 2008  
7 publication, is the position that the 2008 guidance  
8 hadn't brought about changes in practice that had been  
9 hoped for at the time of that publication?
- 10 A. That's exactly correct. One had a sense that people,  
11 experts, were getting together to write very well  
12 informed reports but actually what people did with the  
13 information, their actions could be very different to  
14 the policies.
- 15 Q. If we consider now the work of the group, so it's  
16 a group made up of a number of psychiatrists from  
17 a number of different specialities.
- 18 A. Correct.
- 19 Q. The psychiatrists involved, they're all listed in the  
20 report, aren't they?
- 21 A. *(The witness nodded)*.
- 22 Q. You state that you also had input from patients and  
23 carers, and considered college surveys and literature.
- 24 A. Yes.
- 25 Q. Your role, as chair of the group, was to coordinate the

9

- 1 forms almost as a substitute for actually doing  
2 something. An example of doing something might be you  
3 have talked to the patient, you understand they're  
4 a great worry, and then you have to make a phone call to  
5 their mother or try to get in contact with their boss,  
6 persuade them to get into hospital, find a hospital bed  
7 for them, talk to them about whether they'll take  
8 medication, convene a Mental Health Act if they won't.  
9 Those are all actions, but instead, we have a culture  
10 where clinicians can maybe spend 40 minutes with  
11 a patient, and then two hours in front of a computer  
12 screen filling out boxes, none of which are  
13 irrelevant -- so again, I'm not criticising the  
14 *aide-mémoire* approach -- but they can become  
15 a substitute for actually doing something.
- 16 And the person participating in this process  
17 convinces themselves they are doing something useful and  
18 active, but actually all they're doing is substituting  
19 for the action that's needed.
- 20 Q. If we can turn up the report, it's WITN0058002. If we  
21 turn to page 6, please. And this sets out the "Key  
22 findings and recommendations" of the working group. We  
23 can see, number 1, which reflects a point in your 2013  
24 article:
- 25 "Risk management is a core function of all medical

11

- 1 process and to produce a report reflecting the  
2 consensus.
- 3 A. And to try to achieve that consensus, which was of  
4 itself almost a form of therapy, as you had people in  
5 the room who adopted, again, those sorts of dichotomous  
6 positions.
- 7 Q. But despite that, a consensus was reached --
- 8 A. It was reached, yeah.
- 9 Q. -- balancing the two extremes.
- 10 A. Yes.
- 11 Q. Now again, and this might be going over ground you refer  
12 to in your article that we've already looked at, but in  
13 paragraph 17 of your statement, you describe the  
14 information considered by the group, and refer in  
15 particular to the "dangers of an overly-simplistic  
16 'tick-box' approach, and the risk that such forms of  
17 practice could obscure rather than enhance professional  
18 judgement."
- 19 A. Yes.
- 20 Q. So that tick-box approach is one extreme of the  
21 dichotomy.
- 22 A. Yes.
- 23 Q. And the risk of that obscuring professional judgement,  
24 why did you consider there was that risk?
- 25 A. Because I -- we all observed clinicians filling out

10

- 1 practitioners and some negative outcomes, including  
2 violence can be avoided or reduced in frequency by  
3 sensible contingency planning."
- 4 A. Yes.
- 5 Q. So it should be there on your screen in front of you.
- 6 A. Yeah, thank you.
- 7 Q. You go on in the same paragraph, or the group go on in  
8 the same paragraph to make the point that adverse  
9 outcomes cannot be eliminated, but the use of the term  
10 "contingency planning" at key finding 1, is that  
11 ultimately the aim of a risk assessment: to arrive at  
12 a plan which reduces the chance that the risk  
13 materialises?
- 14 A. Precisely.
- 15 Q. Then if we look at key finding 2, and this echoes  
16 a point that you've already made a couple of times in  
17 your evidence, but it's advocating, isn't it,  
18 a structured approach to risk assessment?
- 19 A. Yes.
- 20 Q. You've explained in your statement the three different  
21 types, so it's the two extremes of the dichotomy, as it  
22 were, so the one that relies purely on a tool and the  
23 one that relies not on a tool at all, purely on clinical  
24 judgement, and between those is the structured  
25 professional judgment so a combination of the two.

12

- 1 A. Yes.
- 2 Q. That's the approach which was endorsed and advocated,  
3 both in the report and the annexed guide.
- 4 A. Yes.
- 5 Q. The example of a tool referred to both in your statement  
6 and the report is the HCR-20.
- 7 A. Yes.
- 8 Q. Now the Inquiry has already heard evidence on that tool.  
9 Ultimately, the report does not recommend HCR-20 for  
10 routine use, does it?
- 11 A. No.
- 12 Q. That's essentially on the grounds of practicality.
- 13 A. Correct.
- 14 Q. The fact that it can take too long to complete.
- 15 A. Yes.
- 16 Q. In an emergency setting where time is limited you might  
17 not have access to collateral information, HCR-20 is not  
18 going to be useful.
- 19 A. Yes.
- 20 Q. Did the working group consider the use of that tool,  
21 HCR-20, in a community setting where there aren't going  
22 to be the same pressures of time in an emergency  
23 setting?
- 24 A. I can't remember that discussion, but my own view would  
25 be that those tools are very useful in certain settings

13

- 1 A. To understand the tool's use, its validity and its  
2 limitations. So if you take any instrument such as the  
3 HCR-20, you're looking at the statistics of it, the  
4 sensitivity, the specificity, the number of false  
5 positives, the number of false negatives, and as  
6 I understood it at the time, it had been well validated  
7 in a forensic population of offenders to predict their  
8 risk of future offending, but it hadn't been so well  
9 validated in a general adult population.
- 10 So, therefore, if a general adult population had  
11 a specific patient who seemed to have an offending  
12 history, it may well be a useful tool, but if instead  
13 you were assessing a 70-year old who was striking out at  
14 their carer, it may not be at all valid.
- 15 So simply because of an act of violence in a general  
16 adult patient, it wouldn't be appropriate to take that  
17 specific tool and apply it to the wrong population. In  
18 other words, people have to understand the instrument  
19 they are using and why they are using it.
- 20 Q. What I'm trying to understand is the recommendation that  
21 the report was making and the good practice it was  
22 advocating for in respect of the use of tools, because  
23 we've established that it is a structured professional  
24 judgement that was being put forward --
- 25 A. Yes.

15

- 1 in terms of risk stratification. So if you've got  
2 20 minutes at 3.00 in the morning in casualty, you might  
3 take one approach, whereas if you've got a couple of  
4 hours on a Friday afternoon you might use a tool such as  
5 the HCR. So there's definitely a role for more  
6 specialised, detailed, risk assessment tools but they  
7 have to be tools that are validated on the population  
8 for which they're being used.
- 9 The HCR-20, when I chaired the committee, hadn't  
10 been validated for community-based patients but had been  
11 validated for forensic patients. So it certainly had a  
12 lot of promise. But I don't believe we took a position  
13 one way or the other to recommend any of the very many  
14 different tools. There were lots of tools out there,  
15 though that was the most common one. But I certainly,  
16 in no sense, was critical of that as a tool. I think  
17 it's a good, useful instrument.

- 18 Q. It's paragraph 45 of your witness statement where you  
19 comment on HCR-20 and you conclude that paragraph by  
20 stating:

21 "The report therefore stressed the importance of  
22 training, supervision and embedding the tool within  
23 a broader clinical process."

- 24 Can you elaborate on what you mean by "embedding the  
25 tool within a broader clinical process"?

14

- 1 Q. -- which involves the use of a tool.
- 2 A. Yes.
- 3 Q. But not the HCR necessarily?
- 4 A. Yes.
- 5 Q. So in terms of the tool to be used or the approach to  
6 a tool-like instrument, what was being recommended?
- 7 A. It really wasn't about the tool, it was who wielded the  
8 tool. So if you imagine the tool being like a medical  
9 procedure, an endoscope, let's say, you wouldn't ask the  
10 GP to wield the endoscope, you'd get the GP to refer to  
11 a gastroenterologist, who would wield the endoscope.
- 12 The HCR, when we wrote this, was predominantly a  
13 tool wielded by forensic psychiatrists, so there would  
14 be a role to seek an opinion from a forensic  
15 psychiatrist to evaluate risk in which they might use  
16 such a tool. Which isn't to say the tool isn't useful,  
17 but it should be used by someone who knows how to wield  
18 it, its context, and how to interpret it.
- 19 Q. If we go forward in the report, it's page 25, please,  
20 and it's the very bottom right-hand corner under the  
21 heading "Local forms and quality networks" starting with  
22 the second sentence, which is going to lead onto the  
23 next page:
- 24 "There remains a need for a common approach to risk  
25 documentation in locally developed forms, as this might

16

1 be the basis of a standard approach for all patients."  
 2 The next two paragraphs, as you can see -- I won't  
 3 read them out -- there is a suggestion of developing  
 4 a standardised national form.  
 5 **A.** Yes.  
 6 **Q.** Was the idea that that kind of form could be used as  
 7 standard in the structured professional judgement  
 8 approach?  
 9 **A.** Exactly, because otherwise if a patient travels, let's  
 10 say theoretically, from Cambridge to Nottingham and  
 11 they've had one tool used in Cambridge and a different  
 12 tool used in Nottingham, then the longitudinal  
 13 assessment of that risk is far harder than if they'd  
 14 used the same instrument in both settings.  
 15 So having one tool used throughout that the health  
 16 culture is useful in that longitudinal assessment of  
 17 risk, but also it embeds it into the culture so the  
 18 clinicians using it know what it is and why they're  
 19 using it. Whereas what tends to happen is you go from  
 20 working in one trust to another trust and they  
 21 use totally different instruments, often with a vague  
 22 acronym, and it changes all the time, or at least it did  
 23 in my NHS days, and that isn't very helpful.  
 24 **Q.** As far as you're aware, was any work done to develop  
 25 that single form, as suggested, recommended in these

17

1 "physical assaults but also threatening behaviour,  
 2 intimidation, or actions that could indirectly cause  
 3 harm".  
 4 **A.** Correct.  
 5 **Q.** So it's a broad field of understanding for violence.  
 6 At paragraph 25 there on screen, you make the point  
 7 that the risk assessment should be a routine part of  
 8 psychiatry practice, not just for forensic or secure  
 9 settings.  
 10 **A.** Yes.  
 11 **Q.** And particularly necessary for a new patient.  
 12 **A.** Yes.  
 13 **Q.** So in your view, whenever there is a new psychiatric  
 14 patient, there is a need for an assessment of risk.  
 15 **A.** Yes.  
 16 **Q.** When a patient deteriorates, and when there are  
 17 expressions of threats or violent ideation.  
 18 **A.** Yes.  
 19 **Q.** So Professor Morgan, is what you're describing here:  
 20 when you have a new patient, assess risk; if you have  
 21 reason to think that the original level of risk may have  
 22 changed, may have increased, you assess risk again?  
 23 **A.** Yes.  
 24 **Q.** Another indication for assessing risk: disengagement  
 25 from treatment. Again, is the importance of a risk

19

1 paragraphs?  
 2 **A.** Not as far as I'm aware, no.  
 3 **Q.** Okay. If we can take that down, I now want to turn to  
 4 the process for assessing risk. If we can put on  
 5 screen, please, a section of your witness statement,  
 6 it's WITN0058001 and if we turn to page 5 of the  
 7 statement, do you see at paragraphs 24-26 you address,  
 8 don't you, when an assessment of risk to others should  
 9 be undertaken?  
 10 **A.** Yes.  
 11 **Q.** At paragraph 24 you say:  
 12 "... whenever a patient presents with symptoms,  
 13 behaviours, or circumstances, that could plausibly give  
 14 rise to concern about harm to others."  
 15 So that's not limited, is it, only to acts of  
 16 violence?  
 17 **A.** No.  
 18 **Q.** It would include threats of violence.  
 19 **A.** Yes.  
 20 **Q.** And aggressive or threatening behaviours.  
 21 **A.** Absolutely, yes.  
 22 **Q.** Indeed, later in your statement, it's paragraph 49,  
 23 we'll stay on this page but at paragraph 49 of your  
 24 statement you describe violence as being understood "...  
 25 broadly in clinical risk assessment" to include not only

18

1 assessment then because the level of risk may have  
 2 changed?  
 3 **A.** Absolutely.  
 4 **Q.** May have increased?  
 5 **A.** Yeah.  
 6 **Q.** Where a patient is being discharged by secondary care  
 7 back to primary care, back to the GP, on the grounds of  
 8 disengagement, in your view is it necessary then to  
 9 carry out a risk assessment as part of that process of  
 10 discharge?  
 11 **A.** Absolutely, yes. And create that contingency plan that  
 12 I was talking about.  
 13 **Q.** Besides points of deterioration, so specific indications  
 14 that the level of risk may have changed, may have  
 15 increased, when or how frequently should risk  
 16 assessments be reviewed and updated as part of  
 17 a routine.  
 18 **A.** Well, certainly at every CPA meeting, so every formal  
 19 multidisciplinary review of a patient there would be  
 20 an evaluation and update of risk. That was the practice  
 21 when I left the NHS, which I think was four years ago,  
 22 would have been expected -- but not confined to that.  
 23 There would also be consideration of risk at every  
 24 single clinical point of contact, if relevant. There  
 25 would be some patients for whom every time you clapped

20

1 eyes on them, you would be assessing their risk. The  
 2 nature of the risk might vary but you would be  
 3 considering issues of risk in every single clinical  
 4 contact.

5 **Q.** So that's considering risk but of course sometimes when  
 6 we think of risk assessment we think of an actual  
 7 document.

8 **A.** Yes.

9 **Q.** So a document setting out a risk, and I think the point  
 10 you're making is well, whenever you see the patient you  
 11 consider risk.

12 **A.** Yes.

13 **Q.** The question I have is when do you return to the actual  
 14 document, the risk assessment, and review that and  
 15 update it, if necessary?

16 **A.** Well, every -- my memory was of every formal meeting,  
 17 but my point being that the nature of the risk  
 18 assessment has to vary according to the patient.

19 So to give you an example from my own practice, in  
 20 the later stages of my career when I would assess  
 21 a 20-year old young female student with anorexia nervosa  
 22 at extremely low weight, who was at risk of a sudden  
 23 heart attack because of their anorexia, nonetheless at  
 24 the first assessment I would be completing a form  
 25 considering whether they kept any dangerous weapons and

21

1 to appreciate that risk is dynamic. Can you just expand  
 2 and explain the difference between dynamic and static  
 3 risk assessments?

4 **A.** I think there are two bits to it. One is that risk  
 5 is -- changes. Very obviously someone can be at no risk  
 6 at all one day and then the next week they're very much  
 7 at risk. So if you have a form filled out which says  
 8 "Low risk", you can't then assume that remains the case  
 9 a week later. You have to be open to the fact that that  
 10 might have changed quite drastically as the person's  
 11 circumstances have changed. They might have resumed  
 12 taking drugs, for example.

13 The second element is that to properly evaluate risk  
 14 you need a longitudinal assessment, you need to look at  
 15 lots of different points in time. So it may be that  
 16 someone presents immediately at risk because they've run  
 17 amok with a machete in the streets of London, but it may  
 18 be that they have an equal risk because they've  
 19 constantly, every Friday night, punched someone. So  
 20 smaller, repeated acts of violence are just as  
 21 indicative of an eventual severe risk as a single  
 22 one-off more dramatic act, and for that reason you need  
 23 to take a longitudinal view of risk.

24 So to summarise, risk is dynamic because firstly it  
 25 changes, and secondly because to make an accurate

23

1 whether they'd ever assaulted anyone, which seems quite  
 2 irrelevant to the patient, but nonetheless you will be  
 3 surprised by how, occasionally, you are amazed that  
 4 people you're not predicting to have that risk will have  
 5 it. So you do have to ask that question at the  
 6 beginning and, in my opinion, at the end.

7 However, towards the later stages, if I'm seeing  
 8 that person every two weeks, I'm not going to be asking  
 9 them every two weeks about whether they've now got  
 10 a weapon; I'll be talking to them more about their ECG  
 11 and their physical health.

12 So the principle is you have to ask the questions  
 13 around the risks which don't appear immediately  
 14 applicable to the individual, but you should do that for  
 15 every patient, certainly at the beginning, and at the  
 16 end, but you wouldn't necessarily do it on every  
 17 clinical contact, depending on the circumstance.

18 **Q.** Finally, so far as what is on screen is concerned, your  
 19 paragraph 26, you deal there, you make the point, it's  
 20 the second sentence:

21 "Risk is dynamic rather than static, and therefore  
 22 requires regular review ..."

23 A few moments ago when you were talking about the  
 24 need for further work in 2013 and concerns about the  
 25 conceptualisation of risk, you referred then to the need

22

1 judgement of risk, you have to take a broad longitudinal  
 2 picture of it.

3 **Q.** Thank you. We can take that down from the screen now.  
 4 We've dealt with the timing of risk assessments.  
 5 Who is it who should carry out a risk assessment? Which  
 6 professionals?

7 **A.** Whoever is doing the assessment, whoever is the  
 8 clinician. But I think risk assessment needs to be done  
 9 by qualified, established healthcare professionals, and  
 10 my experience and our committee was dealing solely with  
 11 psychiatrists. So I can't really speak for who else  
 12 should be involved or is suitably trained. But  
 13 certainly nursing staff, occupational therapists, social  
 14 workers, all need adequate training, but that wasn't the  
 15 remit of the committee.

16 I think the evidence given by the Assertive Outreach  
 17 expert who spoke, Dr Diss -- Dissayanaka, I think he was  
 18 called -- talked about his concern about the increasing  
 19 reliance on less qualified staff in Assertive Outreach.  
 20 And I think there's a valid point there: that it's like  
 21 giving the endoscope to someone who doesn't know how to  
 22 use it. So it has to be an instrument wielded by  
 23 someone who has the training, which would certainly  
 24 include nurses, social workers, occupational therapists,  
 25 psychiatrists, and I'm probably missing out other

24

1 specialities.  
 2 **Q.** But where a patient is receiving care and treatment both  
 3 from psychiatrists and from psychiatric nurses, who in  
 4 those circumstances, in your view, should be responsible  
 5 for the risk assessment?

6 **A.** Well, I've no doubt the psychiatrist should be  
 7 responsible, and I can't speak as to who else should  
 8 hold clinical responsibility.

9 **Q.** At paragraphs 27 and 28 of your statement, you address  
 10 the importance of information gathering for the purposes  
 11 of risk assessment.

12 **A.** Yes.

13 **Q.** Paragraph 27, you say "collateral information" is  
 14 "crucial [to]... obtaining an accurate picture."

15 What are the limitations, so far as accuracy are  
 16 concerned, if you rely solely on clinical interview and  
 17 examination?

18 **A.** Well, patients very often don't tell you what's  
 19 objectively true, either because they're doing so  
 20 deliberately or because they're mentally ill and lack  
 21 mental capacity. The only way you can gain a broader  
 22 picture is by gaining as much information as possible  
 23 from as many different sources as you can possibly get  
 24 hold of.

25 **Q.** You've listed at paragraph 28, a number of potential  
 25

1 a forensic psychiatrist briefly was that we had a lot of  
 2 time to get lots of information from lots of different  
 3 sources and likewise in a medicolegal arena, it's  
 4 a great pleasure to get hold of huge boxes of files and  
 5 go through everything, including GP records from when  
 6 someone was four, but at three o'clock in the morning in  
 7 casualty when I was a liaison psychiatrist in a busy  
 8 London teaching hospital, we were basically having to  
 9 base decisions on the patient that we had in front of  
 10 us, and then trying to ring up any relative if we  
 11 happened to have their telephone number.

12 **Q.** So there's a time issue, a resource issue?

13 **A.** Yes.

14 **Q.** Then also you, at the start of your answer, you refer to  
 15 issues of confidentiality.

16 **A.** Correct.

17 **Q.** If we can put back on screen the report, WITN0058002 and  
 18 go to page 35, Professor Morgan, what I want to do is to  
 19 go through some of the guidance that was given on the  
 20 process of risk assessment and risk formulation.  
 21 There's a number of bullet points, so this is from the  
 22 annex from the guide section?

23 **A.** Yes.

24 **Q.** So this page has a number of ticks for psychiatrists,  
 25 and two of these appear to be at length. So the third

27

1 sources for collateral information, so medical records,  
 2 GP records, police or probation reports, court  
 3 documents, accounts from carers or family members.

4 **A.** Yes.

5 **Q.** You emphasise over the page, paragraph 29, the need for  
 6 psychiatrists "actively to seek" information from those  
 7 sources.

8 **A.** Yes.

9 **Q.** Where a patient is a university student, would it  
 10 involve obtaining collateral information? Would it  
 11 involve seeking information from the university?

12 **A.** Yes.

13 **Q.** Then finally, at paragraph 30, you describe some of the  
 14 impediments to obtaining and sharing information,  
 15 they're described as being "considerable".

16 **A.** Yes.

17 **Q.** What were the difficulties or barriers to obtaining  
 18 information that the working group considered evidence  
 19 of?

20 **A.** Well, apart from the difficulties of getting disclosure  
 21 from other groups and other bodies who may be reluctant  
 22 to share relevant information, and to readily talking of  
 23 confidentiality issues, necessarily, there is also  
 24 simply the time aspects of busy services with little  
 25 time to do this. One of the pleasures of working as

26

1 bullet point:

2 "Be curious and look beyond face value."

3 **A.** Yes.

4 **Q.** Then the sixth bullet point:

5 "Think about what you don't know."

6 **A.** Yes.

7 **Q.** Why was that highlighted as an important tip for  
 8 psychiatrists?

9 **A.** Well, I think the curiosity comes back to the point  
 10 I was making earlier about the unlikely thought that one  
 11 of the patients I was seeing might actually have  
 12 a weapon. These things do happen. You have to be  
 13 curious and open to the unexpected, because it's these  
 14 unexpected, unpredictable risks that are really the most  
 15 dangerous ones. Who would have thought, for example,  
 16 that Richard Reed would try to blow up an airline using  
 17 a bomb concealed in his shoes, and then 10 years later  
 18 we're all taking our shoes off at an airport? Those  
 19 sorts of rare but not impossible risks need to be  
 20 considered.

21 "Think about what you don't know" is about the  
 22 difficulties of the unknown unknowns, philosophically.  
 23 We all know what we know. We tend to think we know what  
 24 we don't know, but there are areas where we don't know  
 25 what we don't know, and those are perhaps the most

28

1 important areas where we, for example, to use it in  
2 a more practical sense, a psychiatrist may not realise  
3 they don't know that much about epilepsy and violence,  
4 for example, and therefore being open to those unknown  
5 unknowns is important.

6 We were trying to move away from the arrogance of  
7 clinicians who'd worked in the field for a long time  
8 assuming that what they had always practised and what  
9 they always understood was correct, and to be open to  
10 the possibility of new information and new learning.

11 **Q.** Is it linked to the seventh bullet point:

12 "Consider the unpredictability of an evolving  
13 disorder or new presentation"?

14 **A.** Yes.

15 **Q.** Where the evolving disorder or new presentation is  
16 psychosis or schizophrenia, how does that consideration  
17 apply?

18 **A.** It applies some -- very obviously -- and I think is  
19 something which isn't relevant to what I was talking  
20 about earlier -- I think that every psychiatrist would  
21 know that a psychotic patient was at -- was a high risk,  
22 and could change from day to day, because it's intrinsic  
23 in the condition.

24 **Q.** If we move on to the next page, please, page 36, and  
25 it's the bottom half of the page under the heading

29

1 "Poor concordance with treatment, discontinuation or  
2 disengagement."

3 Again, that presents a risk. Why?

4 **A.** It implies firstly the person doesn't understand that  
5 they are ill and need to be treated; therefore,  
6 secondly, that they are likely to not comply with  
7 treatment and their mental illness is likely to get  
8 worse; and thirdly that they might disappear into the  
9 ether and be beyond the longitudinal risk assessment  
10 process that I was describing.

11 So those would all be reasons to consider someone at  
12 elevated risk.

13 **Q.** If we can go to the next page, page 37, please. Still  
14 in "Factors to consider", this, under the heading  
15 "Environment", we have the first two bullet points:

16 "Risk factors may vary by setting and patient group.

17 "Risk on release from restricted settings."

18 Are those two bullet points requiring  
19 an appreciation that the, for instance, risk in the  
20 community might present differently to that whilst  
21 detained?

22 **A.** Precisely.

23 **Q.** To what extent can a risk assessment based on  
24 a presentation whilst detained be a reliable indication  
25 of risk in the community?

31

1 "Factors to consider".

2 Now, the first of these is "History", the first  
3 bullet point, "Previous violence, whether investigated,  
4 convicted or unknown ..." and we've already gone over  
5 violence in the need for broad interpretation of that in  
6 clinical practice.

7 **A.** Yes.

8 **Q.** The next bullet point: "Relationship of violence to  
9 mental state." Why is that relevant for the assessment?

10 **A.** Some people are violent and separately they have  
11 a mental illness. Other people are violent because of  
12 their mental illness. A practical example would be, you  
13 know, a paranoid delusion. If you feel that people are  
14 trying to kill you, you're going to try to attack them  
15 first. If you have what's called a second-person  
16 command auditory hallucination telling you to do  
17 something, then that's going to influence your  
18 behaviour.

19 So there's a direct link there between the person's  
20 behavioural violence and their mental state.

21 **Q.** Which of those two features, whether the violence is  
22 part of the mental state or not, that's relevant to the  
23 risk assessment?

24 **A.** Correct, yeah.

25 **Q.** Then the fourth bullet point:

30

1 **A.** Well, it can't be relied upon. One has to do a risk  
2 assessment in the community.

3 **Q.** The third bullet point from the bottom of the  
4 "Environment" section:

5 "Access to potential victims, particularly  
6 individuals identified in mental state abnormalities."

7 What is being described here?

8 **A.** If they have a preoccupation with certain people and  
9 they have contact with that person, then they are at  
10 risk of attacking them. I've had patients who've had  
11 delusions about me, and have wanted to kill me when  
12 they've been psychotic, and clearly therefore that would  
13 put me at risk. But thinking about family, you have  
14 people who are psychotic and they develop delusions  
15 about their wives or husbands, and again, one has to  
16 consider the risks to those individuals.

17 But also, you have to consider who they're living  
18 around and with. Are there young children in the  
19 household? Are they close to people they might be at  
20 risk of attacking because of their delusional ideation?

21 **Q.** Then under "Mental state", the first bullet point, is  
22 that referring essentially to symptoms of psychosis?

23 **A.** Yes.

24 **Q.** You've explained in your statement, haven't you, that  
25 psychotic symptoms can heighten the risk of violence.

32

1 A. Yes.  
 2 Q. The final bullet point in this section, "Beware  
 3 'invisible' risk factors". What are those?  
 4 A. Well, they would include factors such as disengagement,  
 5 but again, coming back to the notion of unknown unknowns  
 6 and the need for curiosity, there may be very specific  
 7 risk factors for specific individuals. I've had  
 8 patients, for example, who, if -- sorry I won't -- I'll  
 9 stop -- I was about to potentially disclose clinical  
 10 information. But you have patients who perhaps  
 11 a certain individual dressed in certain clothing may  
 12 trigger traumatic memories of something that happened to  
 13 them in their army life, and that then may trigger  
 14 violent behaviour.

15 So there are any number of risk factors that might  
 16 be relevant to an individual that need to be tailor-made  
 17 to their own identity.

18 Q. I had picked up on a few of the factors over these  
 19 two pages on risk assessment. There are a number of  
 20 bullet points, we're not going to go through them all,  
 21 but the point ultimately is the more factors that are  
 22 present, the higher the risk.

23 A. Yes.

24 Q. Once the assessment has been carried out, if we turn,  
 25 please, to page 38, the next page, you then arrive at

33

1 between risk and safety."

2 What's being described there?

3 A. Simply to address issues that are heightening the risk  
 4 and lower them.

5 Q. Then over the page, page 60 (*sic*), there are a number of  
 6 bullet points which describe what the management plan  
 7 should include, if I've understood this section  
 8 correctly.

9 A. Yes.

10 Q. Considerations such as whether or not admission is  
 11 necessary, the use of a Community Treatment Order,  
 12 Assertive Outreach. How does a person assessing risk,  
 13 having gone through the factors, formulated risk, how do  
 14 they determine which of these outcomes or plans of  
 15 management is appropriate?

16 A. Well, they should have the clinical training to make  
 17 that judgement or else have the supervision and access  
 18 to support to be advised what route to take.

19 Q. Now, a point that you make in your statement is that the  
 20 risk management plan must be integrated into the overall  
 21 care plan --

22 A. Yes.

23 Q. -- rather than being a standalone document.

24 A. Yes.

25 Q. What's the significance of that?

35

1 a risk formulation.

2 A. Yes.

3 Q. That's essentially an assessment of the risk, but  
 4 holistic assessment of the risk, not simply low risk  
 5 medium risk, high risk.

6 A. Yes, it's based on this actuarial idea that they've  
 7 ticked, you know, five of the ten boxes that identify  
 8 risk, but separately that you have a clinical  
 9 understanding of who they are, where they live, whether  
 10 they have a job, how they get on with their mother, what  
 11 hobbies they have. So it's a combination of the  
 12 actuarial, the tick box, if you like, and the clinical  
 13 and social context of the patient.

14 Q. Once you have your risk formulation, then the next stage  
 15 is to devise a risk management plan.

16 A. And that's the crucial thing, because people will fill  
 17 out these risk formulations very well, very  
 18 descriptively, they're very good at the formulating but  
 19 they then have got to do something with the information;  
 20 they've got to act on it.

21 Q. And that's the plan?

22 A. Yeah.

23 Q. And we'll see, if we go to the next page, second bullet  
 24 point:

25 "A management plan should seek to change the balance

34

1 A. Because risk management has to run through the thread of  
 2 treating the patient. In treating the patient, you're  
 3 trying to reduce the risks to the public, and that has  
 4 to be integral to the purpose of treatment. You're not  
 5 just treating the patient; you're also having a mind for  
 6 public safety.

7 Q. What's the dangers of dealing with risk assessment by  
 8 way of a stand-alone document? Could you still not  
 9 achieve that outcome?

10 A. Well, you certainly can but philosophically we don't  
 11 want these things to be put into silos where one element  
 12 is considered the responsibility of one person and  
 13 another element the responsibility of another. So  
 14 a care plan has to include risk that will be known to  
 15 all of the team managing a patient so it's everyone's  
 16 business.

17 Whereas, if you have a separated risk assessment, it  
 18 can, for example, be, in my distant clinical experience  
 19 in some rare settings, it's been the case that the risk  
 20 management is seen as the duty of the psychiatrist and  
 21 another member of the team will be responsible for  
 22 developing a warm rapport with the patient or vice  
 23 versa. So it's important that the risk management is  
 24 everyone's business.

25 Q. A point you make in your statement, it's 56, when

36

1 describing risk management, is early warning signs. You  
2 state that:

3 "Effective risk management planning depends upon  
4 a structured formulation that identifies not only  
5 risk factors but also protective factors, triggers, and  
6 early warning signs of relapse. The plan should specify  
7 what to look for ..."

8 Again, is that part of the focus on dynamic risk  
9 assessment; is that an example of it?

10 **A.** It is. I mean, a typical example might be someone  
11 develops some sleep disturbance and find they're  
12 agitated at 3.00 in the morning and that can be a useful  
13 indicator that they're at risk, or they become withdrawn  
14 and isolated and they give up, you know, the hobbies  
15 that they used to enjoy. Each one will be individual to  
16 the patient, but often will be quite characteristic of  
17 an imminent risk.

18 **Q.** If we can go back in this document, please, to page 30.  
19 You've already given some evidence on sharing of  
20 information when I was asking you questions about  
21 gathering information for the purpose of the risk  
22 assessment. This is the section of the report that  
23 deals with communication and information sharing.

24 **A.** Yes.

25 **Q.** If we can look at the bottom paragraph on the left:

37

1 When should the GP be informed of a risk assessment  
2 process or outcome or management plan?

3 **A.** Well, every time there's a CPA meeting there should be  
4 communication with the GP about what's going on, and GPs  
5 pull their hair out because they have patients turning  
6 up and there's been a meeting and they haven't been told  
7 there's been a change of medication or circumstances.

8 So GPs are very much at the coalface of what's  
9 happening and they need to be informed fairly rapidly,  
10 but also in a way that they can actually read the  
11 document. They don't have time to read a 30-page  
12 document, they need a succinct bullet point summary of  
13 what's going on.

14 But GPs are crucial in these circumstances also  
15 because the old-fashioned GP will have known the patient  
16 for many years.

17 **Q.** Over the page, page 40, on a similar theme, the final  
18 bullet point -- and this is in relation to the risk  
19 management plan -- that final bullet point asks whether:

20 "... everyone from carers to professionals have they  
21 been adequately consulted and informed about the risks  
22 present ..."

23 We can see just under that bullet point a whole  
24 range of different professionals are identified as  
25 those --

39

1 "Information sharing, particularly between trusts,  
2 mental health teams, social services and the police, was  
3 identified as a key issue in the qualitative responses  
4 to the survey reported in CR150."

5 So that's a 2008 paper, isn't it, the predecessor to  
6 your work?

7 **A.** Yes.

8 **Q.** Then we see underneath that a quote that appears to be  
9 from that document, the second sentence of which states:

10 "Focused strategies are needed to improve sharing of  
11 risk information between trusts, police, mental health,  
12 and voluntary bodies and mental health teams."

13 Then underneath that, the report, this report, the  
14 2016 report, says:

15 "This remains true".

16 **A.** Yes.

17 **Q.** So despite that having been highlighted in 2008, the  
18 view of your working group was that that work remained  
19 outstanding?

20 **A.** Yes.

21 **Q.** If we go forward, please, to page 39, this is within  
22 general principles of risk management, the third bullet  
23 point from the bottom:

24 "Has the patient's GP been informed? Do you need to  
25 speak to the GP?"

38

1 **A.** Yes.

2 **Q.** -- it appears the report seems to be suggesting should  
3 be informed.

4 **A.** Yes.

5 **Q.** Okay, we can take that down now, please. Thank you very  
6 much.

7 Then following the publication of the guide, as  
8 you've said, you weren't involved in the dissemination  
9 of the report or any work that's been done since the  
10 report on assessing risk of others, but you explain in  
11 your statement that your impression was that the  
12 adoption of those principles set out in the report was  
13 variable.

14 **A.** Yes.

15 **Q.** That a tick-box approach remained?

16 **A.** Yes.

17 **Q.** Is it your view that the principles of the guide didn't  
18 filter through to general psychiatric practice?

19 **A.** I think they filtered through to many psychiatrists, but  
20 of course most of the people that are administering risk  
21 management aren't psychiatrists, and really the report  
22 had no teeth. It had no statutory authority. It was  
23 simply a guide to fellow psychiatrists "This is what we  
24 think you should be doing". Whereas what health trusts  
25 do is what they're told to do by commissioners, and

40

1 they're the people with teeth. And so I was left  
 2 feeling slightly cynical as to what value the report had  
 3 actually had, though I may be incorrect in that  
 4 interpretation.  
 5 **Q.** Does that cynicism remain?  
 6 **A.** Yes, but it may reflect my intrinsic personality.  
 7 **Q.** Then finally this: it's paragraph 74 of your statement,  
 8 but you confirm there, don't you, that your view is the  
 9 core principles of your report remain relevant?  
 10 **A.** They do.  
 11 **MR CARR:** Thank you, Chair. Those are my questions. There  
 12 are other questions.  
 13 **THE CHAIR:** Yes. Any questions? Anybody? No. I don't  
 14 think there are in fact any questions.  
 15 **Questioned by THE CHAIR**  
 16 **THE CHAIR:** I just wanted to ask one question, in fact.  
 17 Just in relation to the barriers to obtain  
 18 information, that includes other parts of the NHS,  
 19 doesn't it?  
 20 **A.** It does, yes.  
 21 **THE CHAIR:** And between Trusts.  
 22 **A.** It does, your Honour, yes.  
 23 **THE CHAIR:** So if somebody moves around, is it difficult to  
 24 get information or did you find it, by the time you  
 25 left, difficult to get information from other Trusts?

1 **A.** It can be very difficult. There can be a lack of  
 2 communication, your Honour.  
 3 **THE CHAIR:** Do you know why that is?  
 4 **A.** I think the fragmentation of services and the sense of  
 5 services increasingly working in silos, at a broader  
 6 quasi-political level, the sense that we're now sort of  
 7 operating in an internal market, whereas when I began in  
 8 the NHS we were all a collective organisation with  
 9 a single goal in mind. Now you're working for different  
 10 organisations as if you're going from working for  
 11 Barclays Bank and then working for the Halifax. So the  
 12 sense of collective responsibility and ownership has  
 13 been lost somewhat in the ether of the NHS.  
 14 **THE CHAIR:** Yes, thank you.  
 15 Well, thank you very much.  
 16 I think that completes for today, doesn't it. So  
 17 we'll start again tomorrow morning at 10.00. Thank you  
 18 very much.

19 **(3.11 pm)**  
 20 **(The hearing adjourned until 10.00 am the following day)**

1 **INDEX**

2		Page
3	PROFESSOR JOHN MORGAN (sworn) .....	1
4	Questioned by MR CARR .....	1
5	Questioned by THE CHAIR .....	41

<b>MR CARR: [3]</b> 1/4 1/7 41/11	<b>7</b>	11/13 19/22 19/25 31/3 32/15 33/5 37/8 42/17	<b>approach [11]</b> 10/16 10/20 11/14 12/18 13/2 14/3 16/5 16/24 17/1 17/8 40/15	6/9
<b>THE CHAIR: [7]</b> 1/3 41/13 41/16 41/21 41/23 42/3 42/14	<b>74 [1]</b> 41/7	<b>against [1]</b> 7/11	<b>appropriate [2]</b> 15/16 35/15	<b>balance [4]</b> 4/10 7/11 7/15 34/25
	<b>A</b>	<b>agencies [1]</b> 8/12	<b>April [1]</b> 1/1	<b>balancing [2]</b> 4/8 10/9
	<b>abandoned [1]</b> 5/11	<b>aggressive [1]</b> 18/20	<b>are [49]</b>	<b>Bank [1]</b> 42/11
	<b>able [1]</b> 5/21	<b>agitated [1]</b> 37/12	<b>area [1]</b> 3/3	<b>Barclays [1]</b> 42/11
	<b>abnormalities [1]</b> 32/6	<b>ago [3]</b> 6/18 20/21 22/23	<b>areas [3]</b> 5/15 28/24 29/1	<b>barriers [2]</b> 26/17 41/17
	<b>about [28]</b> 4/6 6/14 8/5 9/3 9/8 11/7 16/7 18/14 20/12 22/9 22/10 22/23 22/24 24/18 24/18 28/5 28/10 28/21 28/21 29/3 29/20 32/11 32/13 32/15 33/9 37/20 39/4 39/21	<b>aide [10]</b> 2/23 6/5 6/10 6/15 6/21 7/4 7/8 7/12 7/15 11/14	<b>aren't [3]</b> 9/20 13/21 40/21	<b>base [1]</b> 27/9
	<b>Absolutely [3]</b> 18/21 20/3 20/11	<b>aide-mémoire [6]</b> 2/23 6/10 7/8 7/12 7/15 11/14	<b>arena [1]</b> 27/3	<b>based [5]</b> 4/7 8/20 14/10 31/23 34/6
<b>1</b>	<b>academic [1]</b> 6/9	<b>aide-mémoires [4]</b> 6/5 6/15 6/21 7/4	<b>argued [1]</b> 3/18	<b>basically [1]</b> 27/8
<b>10 years [1]</b> 28/17	<b>Academically [1]</b> 2/5	<b>aim [1]</b> 12/11	<b>arguing [1]</b> 5/4	<b>basics [1]</b> 7/14
<b>10.00 [2]</b> 42/17 42/20	<b>access [3]</b> 13/17 32/5 35/17	<b>airline [2]</b> 5/15 28/16	<b>arising [1]</b> 5/8	<b>basis [2]</b> 5/14 17/1
<b>14 [1]</b> 7/24	<b>according [1]</b> 21/18	<b>airport [1]</b> 28/18	<b>army [1]</b> 33/13	<b>be [85]</b>
<b>150 [1]</b> 7/21	<b>accounts [1]</b> 26/3	<b>all [20]</b> 3/25 4/16 6/13 9/19 10/25 11/9 11/18 11/25 12/23 15/14 17/1 17/22 23/6 24/14 28/18 28/23 31/11 33/20 36/15 42/8	<b>around [4]</b> 6/12 22/13 32/18 41/23	<b>because [21]</b> 4/11 10/25 15/15 15/22 17/9 20/1 21/23 23/16 23/18 23/24 23/25 25/19 25/20 28/13 29/22 30/11 32/20 34/16 36/1 39/5 39/15
<b>17 [1]</b> 10/13	<b>accuracy [1]</b> 25/15	<b>almost [3]</b> 2/24 10/4 11/1	<b>arrangements [1]</b> 8/4	<b>became [2]</b> 11/14 37/13
<b>2</b>	<b>accurate [2]</b> 23/25 25/14	<b>alone [1]</b> 36/8	<b>arrive [2]</b> 12/11 33/25	<b>becomes [1]</b> 4/21
<b>2.10 [1]</b> 1/2	<b>achieve [2]</b> 10/3 36/9	<b>already [5]</b> 10/12 12/16 13/8 30/4 37/19	<b>arrogance [1]</b> 29/6	<b>becoming [1]</b> 8/11
<b>20 [8]</b> 1/1 13/6 13/9 13/17 13/21 14/9 14/19 15/3	<b>acronym [1]</b> 17/22	<b>also [12]</b> 5/21 9/22 17/17 19/1 20/23 26/23 27/14 32/17 36/5 37/5 39/10 39/14	<b>arrogant [1]</b> 7/12	<b>bed [1]</b> 11/6
<b>20 minutes [1]</b> 14/2	<b>act [4]</b> 11/8 15/15 23/22 34/20	<b>always [2]</b> 29/8 29/9	<b>article [6]</b> 3/14 3/18 4/18 6/23 10/12 11/24	<b>been [19]</b> 3/10 8/21 9/8 14/10 14/10 15/6 15/8 20/22 32/12 33/24 36/19 38/17 38/24 39/6 39/6 39/7 39/21 40/9 42/13
<b>2008 [5]</b> 7/21 9/6 9/7 38/5 38/17	<b>acting [1]</b> 7/9	<b>am [1]</b> 42/20	<b>articles [1]</b> 7/18	<b>before [2]</b> 3/13 5/17
<b>2013 [5]</b> 2/17 7/25 8/2 11/23 22/24	<b>action [1]</b> 11/19	<b>amazed [1]</b> 22/3	<b>as [54]</b>	<b>beginning [2]</b> 22/6 22/15
<b>2016 [6]</b> 2/17 2/20 3/3 3/7 7/19 38/14	<b>actions [3]</b> 9/13 11/9 19/2	<b>amok [1]</b> 23/17	<b>ask [4]</b> 16/9 22/5 22/12 41/16	<b>behaviour [3]</b> 19/1 30/18 33/14
<b>2021 [3]</b> 1/19 2/9 3/10	<b>active [2]</b> 3/2 11/18	<b>annex [1]</b> 27/22	<b>asking [2]</b> 22/8 37/20	<b>behavioural [1]</b> 30/20
<b>2025 [1]</b> 1/10	<b>actively [1]</b> 26/6	<b>annexed [2]</b> 2/23 13/3	<b>asks [1]</b> 39/19	<b>behaviours [2]</b> 18/13 18/20
<b>2026 [1]</b> 1/1	<b>acts [2]</b> 18/15 23/20	<b>anorexia [2]</b> 21/21 21/23	<b>assaulted [1]</b> 22/1	<b>behind [1]</b> 5/12
<b>24 [1]</b> 18/11	<b>actual [2]</b> 21/6 21/13	<b>another [6]</b> 6/10 17/20 19/24 36/13 36/13 36/21	<b>assaults [1]</b> 19/1	<b>being [16]</b> 2/22 4/6 9/2 9/2 14/8 15/24 16/6 16/8 18/24 20/6 21/17 26/15 29/4 32/7 35/2 35/23
<b>25 [2]</b> 16/19 19/6	<b>actually [8]</b> 8/10 9/12 11/1 11/15 11/18 28/11 39/10 41/3	<b>annexed [2]</b> 2/23 13/3	<b>assertive [4]</b> 8/20 24/16 24/19 35/12	<b>belief [1]</b> 1/12
<b>26 [2]</b> 18/7 22/19	<b>actuarial [4]</b> 5/5 5/10 34/6 34/12	<b>annexed [2]</b> 2/23 13/3	<b>assess [3]</b> 19/20 19/22 21/20	<b>believe [1]</b> 14/12
<b>26 [2]</b> 18/7 22/19	<b>adapt [1]</b> 8/17	<b>annexed [2]</b> 2/23 13/3	<b>assessing [7]</b> 2/20 15/13 18/4 19/24 21/1 35/12 40/10	<b>Besides [1]</b> 20/13
<b>27 [2]</b> 25/9 25/13	<b>address [3]</b> 18/7 25/9 35/3	<b>annexed [2]</b> 2/23 13/3	<b>assessment [46]</b>	<b>best [1]</b> 1/12
<b>28 [2]</b> 25/9 25/25	<b>adequate [1]</b> 24/14	<b>another [6]</b> 6/10 17/20 19/24 36/13 36/13 36/21	<b>assessment' [1]</b> 4/20	<b>between [11]</b> 5/8 5/9 6/24 7/15 12/24 23/2 30/19 35/1 38/1 38/11 41/21
<b>29 [1]</b> 26/5	<b>adequately [1]</b> 39/21	<b>answer [2]</b> 8/23 27/14	<b>assessments [4]</b> 6/20 20/16 23/3 24/4	<b>Beware [1]</b> 33/2
<b>3</b>	<b>adjourned [1]</b> 42/20	<b>any [10]</b> 7/3 14/13 15/2 17/24 21/25 27/10 33/15 40/9 41/13 41/14	<b>asset [1]</b> 8/21	<b>beyond [2]</b> 28/2 31/9
<b>3 December 2025 [1]</b> 1/10	<b>administering [1]</b> 40/20	<b>anybody [1]</b> 41/13	<b>Associate [1]</b> 1/21	<b>bits [1]</b> 23/4
<b>3.00 [2]</b> 14/2 37/12	<b>admission [1]</b> 35/10	<b>anyone [1]</b> 22/1	<b>assume [2]</b> 7/13 23/8	<b>blow [1]</b> 28/16
<b>3.11 [1]</b> 42/19	<b>adopted [2]</b> 6/23 10/5	<b>apart [1]</b> 26/20	<b>assuming [1]</b> 29/8	<b>BMJ [1]</b> 6/23
<b>30 [2]</b> 26/13 37/18	<b>adoption [1]</b> 40/12	<b>appear [2]</b> 22/13 27/25	<b>at [56]</b>	<b>bodies [2]</b> 26/21 38/12
<b>35 [1]</b> 27/18	<b>adult [3]</b> 15/9 15/10 15/16	<b>appears [2]</b> 38/8 40/2	<b>attack [2]</b> 21/23 30/14	<b>body [1]</b> 5/9
<b>36 [1]</b> 29/24	<b>adverse [1]</b> 12/8	<b>applicable [1]</b> 22/14	<b>attacking [2]</b> 32/10 32/20	
<b>37 [1]</b> 31/13	<b>advised [1]</b> 35/18	<b>applies [1]</b> 29/18	<b>auditory [1]</b> 30/16	
<b>38 [1]</b> 33/25	<b>advocated [1]</b> 13/2	<b>apply [2]</b> 15/17 29/17	<b>authority [1]</b> 40/22	
<b>39 [1]</b> 38/21	<b>advocating [2]</b> 12/17 15/22	<b>appreciate [1]</b> 23/1	<b>avoided [1]</b> 12/2	
<b>4</b>	<b>afternoon [1]</b> 14/4	<b>appreciation [1]</b> 31/19	<b>aware [2]</b> 17/24 18/2	
<b>40 [1]</b> 39/17	<b>again [10]</b> 10/5 10/11		<b>away [1]</b> 29/6	
<b>40 minutes [1]</b> 11/10			<b>B</b>	
<b>45 [1]</b> 14/18			<b>back [6]</b> 20/7 20/7 27/17 28/9 33/5 37/18	
<b>49 [2]</b> 18/22 18/23			<b>background [2]</b> 1/15	
<b>5</b>				
<b>56 [1]</b> 36/25				
<b>6</b>				
<b>60 [1]</b> 35/5				

<p><b>B</b></p> <p><b>bomb [1]</b> 28/17  <b>boss [1]</b> 11/5  <b>both [6]</b> 2/19 5/24  13/3 13/5 17/14 25/2  <b>bottom [5]</b> 16/20  29/25 32/3 37/25  38/23  <b>box [5]</b> 4/21 5/17  10/20 34/12 40/15  <b>box' [1]</b> 10/16  <b>boxes [6]</b> 5/5 7/4 7/5  11/12 27/4 34/7  <b>branch [2]</b> 2/1 2/3  <b>break [1]</b> 8/23  <b>bridge [1]</b> 5/7  <b>briefly [2]</b> 1/17 27/1  <b>bringing [1]</b> 6/7  <b>British [1]</b> 3/15  <b>broad [3]</b> 19/5 24/1  30/5  <b>broader [4]</b> 14/23  14/25 25/21 42/5  <b>broadly [1]</b> 18/25  <b>brought [1]</b> 9/8  <b>building [1]</b> 7/20  <b>bullet [20]</b> 27/21 28/1  28/4 29/11 30/3 30/8  30/25 31/15 31/18  32/3 32/21 33/2 33/20  34/23 35/6 38/22  39/12 39/18 39/19  39/23  <b>business [2]</b> 36/16  36/24  <b>busy [2]</b> 26/24 27/7  <b>but [61]</b></p>	<p><b>carer [1]</b> 15/14  <b>carers [3]</b> 9/23 26/3  39/20  <b>Carr [3]</b> 1/3 1/6 43/4  <b>carried [1]</b> 33/24  <b>carry [2]</b> 20/9 24/5  <b>case [2]</b> 23/8 36/19  <b>casualty [2]</b> 14/2  27/7  <b>cause [1]</b> 19/2  <b>certain [6]</b> 4/12 5/19  13/25 32/8 33/11  33/11  <b>certainly [7]</b> 14/11  14/15 20/18 22/15  24/13 24/23 36/10  <b>chair [7]</b> 1/4 2/13  3/13 9/25 41/11 41/15  43/5  <b>chaired [1]</b> 14/9  <b>chance [1]</b> 12/12  <b>change [3]</b> 29/22  34/25 39/7  <b>changed [6]</b> 8/16  19/22 20/2 20/14  23/10 23/11  <b>changes [5]</b> 8/14 9/8  17/22 23/5 23/25  <b>changing [2]</b> 8/3 8/18  <b>characteristic [1]</b>  37/16  <b>checked [1]</b> 5/17  <b>checklist [1]</b> 5/23  <b>children [1]</b> 32/18  <b>circumstance [1]</b>  22/17  <b>circumstances [5]</b>  18/13 23/11 25/4 39/7  39/14  <b>clapped [1]</b> 20/25  <b>clearly [1]</b> 32/12  <b>clinic [1]</b> 7/5  <b>clinical [22]</b> 4/21 5/2  5/5 5/22 6/3 7/2 7/16  12/23 14/23 14/25  18/25 20/24 21/3  22/17 25/8 25/16 30/6  33/9 34/8 34/12 35/16  36/18  <b>clinician [1]</b> 24/8  <b>clinicians [8]</b> 5/9  5/11 7/2 7/12 10/25  11/10 17/18 29/7  <b>close [1]</b> 32/19  <b>clothing [1]</b> 33/11  <b>coalface [1]</b> 39/8  <b>collateral [4]</b> 13/17  25/13 26/1 26/10  <b>collective [2]</b> 42/8  42/12  <b>college [4]</b> 2/15 7/21  8/2 9/23  <b>College publication [1]</b> 7/21  <b>columns [1]</b> 3/21  <b>combination [4]</b> 5/5</p>	<p>5/22 12/25 34/11  <b>combining [1]</b> 5/1  <b>comes [1]</b> 28/9  <b>coming [1]</b> 33/5  <b>command [1]</b> 30/16  <b>commenced [1]</b> 7/25  <b>comment [1]</b> 14/19  <b>commissioners [1]</b>  40/25  <b>commissioning [1]</b>  8/3  <b>committee [5]</b> 5/7  8/15 14/9 24/10 24/15  <b>common [2]</b> 14/15  16/24  <b>communication [3]</b>  37/23 39/4 42/2  <b>community [6]</b> 13/21  14/10 31/20 31/25  32/2 35/11  <b>community-based [1]</b>  14/10  <b>complete [1]</b> 13/14  <b>completes [1]</b> 42/16  <b>completing [1]</b> 21/24  <b>comply [1]</b> 31/6  <b>component [1]</b> 3/25  <b>computer [1]</b> 11/11  <b>concealed [1]</b> 28/17  <b>conceptualisation [2]</b>  8/24 22/25  <b>conceptualised [1]</b>  8/5  <b>concern [4]</b> 7/8 9/3  18/14 24/18  <b>concerned [3]</b> 3/6  22/18 25/16  <b>concerns [5]</b> 8/5 8/7  8/8 9/2 22/24  <b>conclude [1]</b> 14/19  <b>concordance [1]</b>  31/1  <b>condition [1]</b> 29/23  <b>confidentiality [2]</b>  26/23 27/15  <b>confined [1]</b> 20/22  <b>confirm [1]</b> 41/8  <b>consensus [3]</b> 10/2  10/3 10/7  <b>consider [11]</b> 5/13  9/15 10/24 13/20  21/11 29/12 30/1  31/11 31/14 32/16  32/17  <b>considerable [1]</b>  26/15  <b>consideration [2]</b>  20/23 29/16  <b>Considerations [1]</b>  35/10  <b>considered [6]</b> 9/2  9/23 10/14 26/18  28/20 36/12  <b>considering [4]</b> 7/19  21/3 21/5 21/25  <b>constantly [1]</b> 23/19</p>	<p><b>consultant [1]</b> 1/18  <b>consulted [1]</b> 39/21  <b>contact [5]</b> 11/5  20/24 21/4 22/17 32/9  <b>contents [1]</b> 1/12  <b>context [2]</b> 16/18  34/13  <b>contingency [3]</b> 12/3  12/10 20/11  <b>continued [1]</b> 2/9  <b>convene [1]</b> 11/8  <b>convicted [1]</b> 30/4  <b>convinces [1]</b> 11/17  <b>coordinate [1]</b> 9/25  <b>core [2]</b> 11/25 41/9  <b>corner [1]</b> 16/20  <b>correct [23]</b> 1/11  1/13 1/20 2/8 2/11  2/16 2/25 3/5 3/16  3/20 4/2 4/10 7/13  7/23 9/1 9/5 9/10 9/18  13/13 19/4 27/16 29/9  30/24  <b>correctly [1]</b> 35/8  <b>costs [1]</b> 8/22  <b>could [8]</b> 5/12 9/13  10/17 17/6 18/13 19/2  29/22 36/8  <b>couldn't [1]</b> 5/18  <b>country [1]</b> 6/13  <b>couple [2]</b> 12/16 14/3  <b>course [2]</b> 21/5 40/20  <b>court [1]</b> 26/2  <b>CPA [2]</b> 20/18 39/3  <b>CR [1]</b> 7/21  <b>CR-150 [1]</b> 7/21  <b>CR150 [1]</b> 38/4  <b>create [1]</b> 20/11  <b>crisis [1]</b> 8/20  <b>critical [1]</b> 14/16  <b>criticising [1]</b> 11/13  <b>crucial [4]</b> 5/4 25/14  34/16 39/14  <b>culture [3]</b> 11/9  17/16 17/17  <b>curiosity [2]</b> 28/9  33/6  <b>curious [2]</b> 28/2  28/13  <b>cut [1]</b> 8/22  <b>cynical [1]</b> 41/2  <b>cynicism [1]</b> 41/5</p>	<p><b>deals [1]</b> 37/23  <b>deal [1]</b> 24/4  <b>debate [1]</b> 6/24  <b>debates [1]</b> 6/25  <b>December [1]</b> 1/10  <b>decided [1]</b> 8/2  <b>decisions [1]</b> 27/9  <b>definitely [1]</b> 14/5  <b>deliberately [1]</b> 25/20  <b>delusion [1]</b> 30/13  <b>delusional [1]</b> 32/20  <b>delusions [2]</b> 32/11  32/14  <b>depending [1]</b> 22/17  <b>depends [1]</b> 37/3  <b>describe [6]</b> 5/25  7/24 10/13 18/24  26/13 35/6  <b>described [4]</b> 6/18  26/15 32/7 35/2  <b>describing [6]</b> 4/3  4/24 6/6 19/19 31/10  37/1  <b>descriptively [1]</b>  34/18  <b>despite [2]</b> 10/7  38/17  <b>detail [1]</b> 7/1  <b>detailed [1]</b> 14/6  <b>detained [2]</b> 31/21  31/24  <b>deteriorates [1]</b>  19/16  <b>deterioration [1]</b>  20/13  <b>determine [1]</b> 35/14  <b>develop [2]</b> 17/24  32/14  <b>developed [1]</b> 16/25  <b>developing [3]</b> 6/10  17/3 36/22  <b>develops [1]</b> 37/11  <b>devise [1]</b> 34/15  <b>dichotomies [1]</b> 5/8  <b>dichotomous [1]</b>  10/5  <b>dichotomy [3]</b> 6/18  10/21 12/21  <b>did [6]</b> 3/7 9/12 10/24  13/20 17/22 41/24  <b>didn't [1]</b> 40/17  <b>difference [1]</b> 23/2  <b>different [13]</b> 8/12  8/12 9/13 9/17 12/20  14/14 17/11 17/21  23/15 25/23 27/2  39/24 42/9  <b>differently [1]</b> 31/20  <b>difficult [3]</b> 41/23  41/25 42/1  <b>difficulties [3]</b> 26/17  26/20 28/22  <b>direct [1]</b> 30/19  <b>Director [1]</b> 1/22  <b>disappear [1]</b> 31/8  <b>discharge [1]</b> 20/10</p>
<p>(13) bomb - discharge</p>				

<p><b>D</b></p> <p><b>discharged [1]</b> 20/6</p> <p><b>disclose [1]</b> 33/9</p> <p><b>disclosure [1]</b> 26/20</p> <p><b>discontinuation [1]</b> 31/1</p> <p><b>discussion [1]</b> 13/24</p> <p><b>disengagement [4]</b> 19/24 20/8 31/2 33/4</p> <p><b>dismissing [1]</b> 6/15</p> <p><b>disorder [2]</b> 29/13 29/15</p> <p><b>disorders [3]</b> 1/25 2/2 6/11</p> <p><b>Diss [2]</b> 8/8 24/17</p> <p><b>Dissayanaka [1]</b> 24/17</p> <p><b>dissemination [1]</b> 40/8</p> <p><b>distant [1]</b> 36/18</p> <p><b>disturbance [1]</b> 37/11</p> <p><b>divorced [1]</b> 4/24</p> <p><b>do [21]</b> 1/16 5/6 7/1 9/4 18/7 21/13 22/5 22/14 22/16 26/25 27/18 28/12 30/16 32/1 34/19 35/13 38/24 40/25 40/25 41/10 42/3</p> <p><b>doctor [1]</b> 1/18</p> <p><b>document [10]</b> 2/22 21/7 21/9 21/14 35/23 36/8 37/18 38/9 39/11 39/12</p> <p><b>documentation [1]</b> 16/25</p> <p><b>documents [1]</b> 26/3</p> <p><b>does [7]</b> 13/9 13/10 29/16 35/12 41/5 41/20 41/22</p> <p><b>does it [1]</b> 13/10</p> <p><b>doesn't [4]</b> 24/21 31/4 41/19 42/16</p> <p><b>doing [8]</b> 11/1 11/2 11/15 11/17 11/18 24/7 25/19 40/24</p> <p><b>don't [16]</b> 1/15 7/3 14/12 18/8 22/13 25/18 28/5 28/21 28/24 28/24 28/25 29/3 36/10 39/11 41/8 41/13</p> <p><b>done [3]</b> 17/24 24/8 40/9</p> <p><b>doubt [1]</b> 25/6</p> <p><b>down [5]</b> 7/18 8/23 18/3 24/3 40/5</p> <p><b>Dr [2]</b> 8/8 24/17</p> <p><b>Dr Diss [2]</b> 8/8 24/17</p> <p><b>dramatic [1]</b> 23/22</p> <p><b>drastically [1]</b> 23/10</p> <p><b>dressed [1]</b> 33/11</p> <p><b>drugs [2]</b> 7/6 23/12</p> <p><b>During [1]</b> 1/21</p>	<p><b>duty [1]</b> 36/20</p> <p><b>dynamic [8]</b> 8/14 8/25 9/3 22/21 23/1 23/2 23/24 37/8</p> <p><b>dynamism [1]</b> 8/17</p> <hr/> <p><b>E</b></p> <p><b>Each [1]</b> 37/15</p> <p><b>earlier [2]</b> 28/10 29/20</p> <p><b>early [3]</b> 3/13 37/1 37/6</p> <p><b>eating [3]</b> 1/25 2/2 6/11</p> <p><b>ECG [1]</b> 22/10</p> <p><b>echoes [1]</b> 12/15</p> <p><b>Effective [1]</b> 37/3</p> <p><b>either [1]</b> 25/19</p> <p><b>elaborate [1]</b> 14/24</p> <p><b>element [3]</b> 23/13 36/11 36/13</p> <p><b>elevated [1]</b> 31/12</p> <p><b>eliminated [1]</b> 12/9</p> <p><b>else [3]</b> 24/11 25/7 35/17</p> <p><b>embedding [2]</b> 14/22 14/24</p> <p><b>embeds [1]</b> 17/17</p> <p><b>emergency [2]</b> 13/16 13/22</p> <p><b>emphasis [1]</b> 6/2</p> <p><b>emphasise [1]</b> 26/5</p> <p><b>emphasised [1]</b> 3/1</p> <p><b>emphasising [1]</b> 3/18</p> <p><b>end [3]</b> 3/3 22/6 22/16</p> <p><b>endorsed [1]</b> 13/2</p> <p><b>endoscope [4]</b> 16/9 16/10 16/11 24/21</p> <p><b>engineering [1]</b> 5/16</p> <p><b>enhance [1]</b> 10/17</p> <p><b>enjoy [1]</b> 37/15</p> <p><b>entitled [1]</b> 7/21</p> <p><b>Environment [2]</b> 31/15 32/4</p> <p><b>epilepsy [1]</b> 29/3</p> <p><b>equal [1]</b> 23/18</p> <p><b>equally [2]</b> 5/19 7/10</p> <p><b>essentially [4]</b> 3/3 13/12 32/22 34/3</p> <p><b>established [2]</b> 15/23 24/9</p> <p><b>ether [2]</b> 31/9 42/13</p> <p><b>evaluate [2]</b> 16/15 23/13</p> <p><b>evaluation [2]</b> 6/3 20/20</p> <p><b>eventual [1]</b> 23/21</p> <p><b>ever [1]</b> 22/1</p> <p><b>every [15]</b> 6/13 20/18 20/18 20/23 20/25 21/3 21/16 21/16 22/8 22/9 22/15 22/16 23/19 29/20 39/3</p> <p><b>everyone [1]</b> 39/20</p> <p><b>everyone's [2]</b> 36/15</p>	<p>36/24</p> <p><b>everything [2]</b> 5/19 27/5</p> <p><b>evidence [7]</b> 3/6 5/14 12/17 13/8 24/16 26/18 37/19</p> <p><b>evolving [3]</b> 8/4 29/12 29/15</p> <p><b>exactly [5]</b> 4/13 4/17 8/8 9/10 17/9</p> <p><b>examination [6]</b> 4/22 4/25 5/3 6/3 6/8 25/17</p> <p><b>example [13]</b> 7/7 11/2 13/5 21/19 23/12 28/15 29/1 29/4 30/12 33/8 36/18 37/9 37/10</p> <p><b>examples [1]</b> 5/16</p> <p><b>expand [1]</b> 23/1</p> <p><b>expected [1]</b> 20/22</p> <p><b>experience [3]</b> 5/22 24/10 36/18</p> <p><b>expert [2]</b> 2/14 24/17</p> <p><b>experts [1]</b> 9/11</p> <p><b>explain [2]</b> 23/2 40/10</p> <p><b>explained [2]</b> 12/20 32/24</p> <p><b>expressions [1]</b> 19/17</p> <p><b>extent [2]</b> 6/20 31/23</p> <p><b>extreme [1]</b> 10/20</p> <p><b>extremely [1]</b> 21/22</p> <p><b>extremes [4]</b> 5/9 6/24 10/9 12/21</p> <p><b>eyes [1]</b> 21/1</p> <hr/> <p><b>F</b></p> <p><b>face [1]</b> 28/2</p> <p><b>fact [4]</b> 13/14 23/9 41/14 41/16</p> <p><b>factors [12]</b> 30/1 31/14 31/16 33/3 33/4 33/7 33/15 33/18 33/21 35/13 37/5 37/5</p> <p><b>fairly [1]</b> 39/9</p> <p><b>false [4]</b> 4/8 4/8 15/4 15/5</p> <p><b>fame [1]</b> 6/9</p> <p><b>family [2]</b> 26/3 32/13</p> <p><b>far [7]</b> 8/23 9/6 17/13 17/24 18/2 22/18 25/15</p> <p><b>Farnill [1]</b> 1/8</p> <p><b>fashioned [1]</b> 39/15</p> <p><b>favour [2]</b> 3/18 5/4</p> <p><b>features [1]</b> 30/21</p> <p><b>feel [1]</b> 30/13</p> <p><b>feeling [1]</b> 41/2</p> <p><b>fellow [1]</b> 40/23</p> <p><b>felt [2]</b> 5/10 5/11</p> <p><b>female [1]</b> 21/21</p> <p><b>few [3]</b> 6/18 22/23 33/18</p> <p><b>field [2]</b> 19/5 29/7</p> <p><b>files [1]</b> 27/4</p> <p><b>fill [1]</b> 34/16</p>	<p><b>filled [1]</b> 23/7</p> <p><b>filling [2]</b> 10/25 11/12</p> <p><b>filter [1]</b> 40/18</p> <p><b>filtered [1]</b> 40/19</p> <p><b>final [5]</b> 3/22 4/19 33/2 39/17 39/19</p> <p><b>finally [3]</b> 22/18 26/13 41/7</p> <p><b>find [3]</b> 11/6 37/11 41/24</p> <p><b>finding [2]</b> 12/10 12/15</p> <p><b>findings [1]</b> 11/22</p> <p><b>first [6]</b> 21/24 30/2 30/2 30/15 31/15 32/21</p> <p><b>firstly [2]</b> 23/24 31/4</p> <p><b>five [2]</b> 6/12 34/7</p> <p><b>flawed [3]</b> 3/23 4/4 4/7</p> <p><b>focus [1]</b> 37/8</p> <p><b>Focused [1]</b> 38/10</p> <p><b>focuses [1]</b> 2/12</p> <p><b>following [3]</b> 9/6 40/7 42/20</p> <p><b>forensic [6]</b> 14/11 15/7 16/13 16/14 19/8 27/1</p> <p><b>forget [1]</b> 7/14</p> <p><b>form [7]</b> 7/16 10/4 17/4 17/6 17/25 21/24 23/7</p> <p><b>formal [2]</b> 20/18 21/16</p> <p><b>forms [5]</b> 6/5 10/16 11/1 16/21 16/25</p> <p><b>formulated [1]</b> 35/13</p> <p><b>formulating [1]</b> 34/18</p> <p><b>formulation [4]</b> 27/20 34/1 34/14 37/4</p> <p><b>formulations [1]</b> 34/17</p> <p><b>forward [3]</b> 15/24 16/19 38/21</p> <p><b>Foundation [1]</b> 1/22</p> <p><b>four [2]</b> 20/21 27/6</p> <p><b>four years [1]</b> 20/21</p> <p><b>fourth [1]</b> 30/25</p> <p><b>fragmentation [2]</b> 9/4 42/4</p> <p><b>fragmented [1]</b> 8/11</p> <p><b>frequency [1]</b> 12/2</p> <p><b>frequently [1]</b> 20/15</p> <p><b>Friday [2]</b> 14/4 23/19</p> <p><b>front [3]</b> 11/11 12/5 27/9</p> <p><b>full [1]</b> 1/7</p> <p><b>fuller [1]</b> 2/22</p> <p><b>fun [1]</b> 6/24</p> <p><b>function [1]</b> 11/25</p> <p><b>fundamental [2]</b> 3/25 4/15</p> <p><b>further [2]</b> 9/6 22/24</p> <p><b>furthermore [1]</b> 8/19</p> <p><b>future [1]</b> 15/8</p>	<p><b>G</b></p> <p><b>gain [1]</b> 25/21</p> <p><b>gaining [1]</b> 25/22</p> <p><b>gastroenterologist [1]</b> 16/11</p> <p><b>gathering [2]</b> 25/10 37/21</p> <p><b>general [5]</b> 15/9 15/10 15/15 38/22 40/18</p> <p><b>generally [1]</b> 4/6</p> <p><b>George's [1]</b> 2/6</p> <p><b>get [11]</b> 8/13 11/5 11/6 16/10 25/23 27/2 27/4 31/7 34/10 41/24 41/25</p> <p><b>getting [2]</b> 9/11 26/20</p> <p><b>give [3]</b> 18/13 21/19 37/14</p> <p><b>given [3]</b> 24/16 27/19 37/19</p> <p><b>giving [1]</b> 24/21</p> <p><b>go [13]</b> 4/23 12/7 12/7 16/19 17/19 27/5 27/18 27/19 31/13 33/20 34/23 37/18 38/21</p> <p><b>goal [1]</b> 42/9</p> <p><b>going [12]</b> 1/17 10/11 13/18 13/21 16/22 22/8 30/14 30/17 33/20 39/4 39/13 42/10</p> <p><b>gone [2]</b> 30/4 35/13</p> <p><b>good [4]</b> 5/14 14/17 15/21 34/18</p> <p><b>got [6]</b> 5/20 14/1 14/3 22/9 34/19 34/20</p> <p><b>GP [10]</b> 16/10 16/10 20/7 26/2 27/5 38/24 38/25 39/1 39/4 39/15</p> <p><b>GPs [3]</b> 39/4 39/8 39/14</p> <p><b>great [2]</b> 11/4 27/4</p> <p><b>greatest [1]</b> 6/9</p> <p><b>ground [1]</b> 10/11</p> <p><b>grounds [2]</b> 13/12 20/7</p> <p><b>group [14]</b> 2/14 2/19 3/14 8/1 9/15 9/16 9/25 10/14 11/22 12/7 13/20 26/18 31/16 38/18</p> <p><b>groups [1]</b> 26/21</p> <p><b>guidance [4]</b> 2/14 3/10 9/7 27/19</p> <p><b>guide [8]</b> 2/19 2/23 3/13 13/3 27/22 40/7 40/17 40/23</p> <hr/> <p><b>H</b></p> <p><b>had [24]</b> 3/10 3/14 5/20 6/16 9/8 9/10 9/22 10/4 14/10 14/11 15/6 15/10 17/11 27/1</p>
--	---	---	--	--

<p><b>H</b></p> <p><b>had...</b> [10] 27/9 29/8 32/10 32/10 33/7 33/18 40/22 40/22 41/2 41/3</p> <p><b>hadn't</b> [3] 9/8 14/9 15/8</p> <p><b>hair</b> [1] 39/5</p> <p><b>half</b> [1] 29/25</p> <p><b>Halifax</b> [1] 42/11</p> <p><b>hallucination</b> [1] 30/16</p> <p><b>hand</b> [3] 4/19 5/25 16/20</p> <p><b>happen</b> [2] 17/19 28/12</p> <p><b>happened</b> [2] 27/11 33/12</p> <p><b>happening</b> [1] 39/9</p> <p><b>hard</b> [1] 8/13</p> <p><b>harder</b> [1] 17/13</p> <p><b>harm</b> [2] 18/14 19/3</p> <p><b>has</b> [17] 6/16 7/6 7/14 8/9 13/8 21/18 24/22 24/23 27/24 32/1 32/15 33/24 36/1 36/3 36/14 38/24 42/12</p> <p><b>have</b> [58]</p> <p><b>haven't</b> [2] 32/24 39/6</p> <p><b>having</b> [5] 17/15 27/8 35/13 36/5 38/17</p> <p><b>HCR</b> [10] 13/6 13/9 13/17 13/21 14/5 14/9 14/19 15/3 16/3 16/12</p> <p><b>HCR-20</b> [7] 13/6 13/9 13/17 13/21 14/9 14/19 15/3</p> <p><b>he</b> [1] 24/17</p> <p><b>heading</b> [3] 16/21 29/25 31/14</p> <p><b>health</b> [9] 5/8 7/22 11/8 17/15 22/11 38/2 38/11 38/12 40/24</p> <p><b>healthcare</b> [1] 24/9</p> <p><b>heard</b> [1] 13/8</p> <p><b>hearing</b> [1] 42/20</p> <p><b>heart</b> [1] 21/23</p> <p><b>heighten</b> [1] 32/25</p> <p><b>heightening</b> [1] 35/3</p> <p><b>held</b> [2] 2/5 2/17</p> <p><b>help</b> [1] 3/9</p> <p><b>helpful</b> [3] 6/5 6/21 17/23</p> <p><b>here</b> [2] 19/19 32/7</p> <p><b>hidden</b> [1] 5/12</p> <p><b>high</b> [2] 29/21 34/5</p> <p><b>higher</b> [1] 33/22</p> <p><b>highlighted</b> [2] 28/7 38/17</p> <p><b>his</b> [2] 24/18 28/17</p> <p><b>historic</b> [1] 8/13</p> <p><b>history</b> [3] 7/6 15/12 30/2</p>	<p><b>hobbies</b> [2] 34/11 37/14</p> <p><b>hold</b> [4] 8/13 25/8 25/24 27/4</p> <p><b>holistic</b> [1] 34/4</p> <p><b>Honorary</b> [1] 2/5</p> <p><b>Honour</b> [2] 41/22 42/2</p> <p><b>hoped</b> [1] 9/9</p> <p><b>hospital</b> [4] 2/6 11/6 11/6 27/8</p> <p><b>hours</b> [2] 11/11 14/4</p> <p><b>household</b> [1] 32/19</p> <p><b>how</b> [10] 8/5 16/17 16/18 20/15 22/3 24/21 29/16 34/10 35/12 35/13</p> <p><b>However</b> [1] 22/7</p> <p><b>huge</b> [1] 27/4</p> <p><b>hunch</b> [2] 5/20 5/21</p> <p><b>husbands</b> [1] 32/15</p> <hr/> <p><b>I</b></p> <p><b>I adopted</b> [1] 6/23</p> <p><b>I balance</b> [1] 7/11</p> <p><b>I began</b> [1] 42/7</p> <p><b>I can</b> [1] 8/23</p> <p><b>I can't</b> [4] 3/12 13/24 24/11 25/7</p> <p><b>I certainly</b> [1] 14/15</p> <p><b>I chaired</b> [1] 14/9</p> <p><b>I do</b> [2] 1/16 7/1</p> <p><b>I don't</b> [1] 41/13</p> <p><b>I had</b> [1] 33/18</p> <p><b>I have</b> [1] 21/13</p> <p><b>I just</b> [1] 41/16</p> <p><b>I left</b> [1] 20/21</p> <p><b>I may</b> [1] 41/3</p> <p><b>I mean</b> [1] 37/10</p> <p><b>I now</b> [1] 18/3</p> <p><b>I think</b> [17] 6/22 7/4 8/8 14/16 20/21 21/9 23/4 24/8 24/16 24/17 24/20 28/9 29/18 29/20 40/19 42/4 42/16</p> <p><b>I understood</b> [1] 15/6</p> <p><b>I want</b> [1] 27/18</p> <p><b>I was</b> [8] 5/6 27/7 28/10 28/11 29/19 33/9 37/20 41/1</p> <p><b>I would</b> [2] 21/20 21/24</p> <p><b>I'll</b> [2] 22/10 33/8</p> <p><b>I'm</b> [13] 1/8 1/17 3/12 4/6 5/4 6/15 6/15 11/13 15/20 18/2 22/7 22/8 24/25</p> <p><b>I've</b> [4] 25/6 32/10 33/7 35/7</p> <p><b>idea</b> [2] 17/6 34/6</p> <p><b>ideation</b> [2] 19/17 32/20</p> <p><b>identified</b> [3] 32/6 38/3 39/24</p> <p><b>identifies</b> [1] 37/4</p>	<p><b>identify</b> [1] 34/7</p> <p><b>identity</b> [1] 33/17</p> <p><b>if</b> [49]</p> <p><b>ill</b> [2] 25/20 31/5</p> <p><b>illness</b> [3] 30/11 30/12 31/7</p> <p><b>imagine</b> [1] 16/8</p> <p><b>immediately</b> [2] 22/13 23/16</p> <p><b>imminent</b> [1] 37/17</p> <p><b>impediments</b> [1] 26/14</p> <p><b>implies</b> [1] 31/4</p> <p><b>importance</b> [4] 5/1 14/21 19/25 25/10</p> <p><b>important</b> [5] 5/13 28/7 29/1 29/5 36/23</p> <p><b>impossible</b> [1] 28/19</p> <p><b>impression</b> [1] 40/11</p> <p><b>improve</b> [1] 38/10</p> <p><b>include</b> [6] 18/18 18/25 24/24 33/4 35/7 36/14</p> <p><b>includes</b> [1] 41/18</p> <p><b>including</b> [3] 5/2 12/1 27/5</p> <p><b>incorrect</b> [1] 41/3</p> <p><b>increased</b> [3] 19/22 20/4 20/15</p> <p><b>increasing</b> [1] 24/18</p> <p><b>increasingly</b> [1] 42/5</p> <p><b>Indeed</b> [1] 18/22</p> <p><b>indication</b> [2] 19/24 31/24</p> <p><b>indications</b> [1] 20/13</p> <p><b>indicative</b> [1] 23/21</p> <p><b>indicator</b> [1] 37/13</p> <p><b>indirectly</b> [1] 19/2</p> <p><b>individual</b> [4] 22/14 33/11 33/16 37/15</p> <p><b>individuals</b> [3] 32/6 32/16 33/7</p> <p><b>industry</b> [1] 5/15</p> <p><b>inevitably</b> [1] 4/7</p> <p><b>influence</b> [1] 30/17</p> <p><b>information</b> [26] 8/13 9/13 10/14 13/17 25/10 25/13 25/22 26/1 26/6 26/10 26/11 26/14 26/18 26/22 27/2 29/10 33/10 34/19 37/20 37/21 37/23 38/1 38/11 41/18 41/24 41/25</p> <p><b>informed</b> [6] 9/12 38/24 39/1 39/9 39/21 40/3</p> <p><b>initially</b> [2] 2/1 2/3</p> <p><b>innumerate</b> [1] 3/24</p> <p><b>input</b> [1] 9/22</p> <p><b>Inquiry</b> [4] 1/9 2/12 8/9 13/8</p> <p><b>instance</b> [1] 31/19</p> <p><b>instead</b> [2] 11/9 15/12</p> <p><b>instrument</b> [7] 4/9</p>	<p>14/17 15/2 15/18 16/6 17/14 24/22</p> <p><b>instruments</b> [1] 17/21</p> <p><b>integral</b> [1] 36/4</p> <p><b>integrated</b> [1] 35/20</p> <p><b>intention</b> [1] 3/11</p> <p><b>internal</b> [1] 42/7</p> <p><b>interpret</b> [1] 16/18</p> <p><b>interpretation</b> [2] 30/5 41/4</p> <p><b>interview</b> [1] 25/16</p> <p><b>intimidation</b> [1] 19/2</p> <p><b>into</b> [6] 6/13 11/6 17/17 31/8 35/20 36/11</p> <p><b>intrinsic</b> [2] 29/22 41/6</p> <p><b>investigated</b> [1] 30/3</p> <p><b>involve</b> [2] 26/10 26/11</p> <p><b>involved</b> [3] 9/19 24/12 40/8</p> <p><b>involvement</b> [1] 3/2</p> <p><b>involves</b> [1] 16/1</p> <p><b>irrelevant</b> [2] 11/13 22/2</p> <p><b>is</b> [97]</p> <p><b>isn't</b> [7] 8/16 12/17 16/16 16/16 17/23 29/19 38/5</p> <p><b>isolated</b> [1] 37/14</p> <p><b>issue</b> [3] 27/12 27/12 38/3</p> <p><b>issues</b> [4] 21/3 26/23 27/15 35/3</p> <p><b>it</b> [82]</p> <p><b>it's</b> [26] 3/17 8/13 9/15 11/20 12/17 12/21 14/17 14/18 16/19 16/20 18/6 18/22 19/5 22/19 24/20 27/3 28/13 29/22 29/25 34/6 34/11 36/15 36/19 36/23 36/25 41/7</p> <p><b>its</b> [4] 1/12 15/1 15/1 16/18</p> <p><b>itself</b> [2] 8/14 10/4</p> <hr/> <p><b>J</b></p> <p><b>job</b> [1] 34/10</p> <p><b>John</b> [4] 1/4 1/5 1/8 43/3</p> <p><b>joined</b> [1] 8/11</p> <p><b>joined-up</b> [1] 8/11</p> <p><b>Journal</b> [1] 3/15</p> <p><b>journalistic</b> [1] 6/22</p> <p><b>judgement</b> [10] 7/2 7/13 7/16 10/18 10/23 12/24 15/24 17/7 24/1 35/17</p> <p><b>judgment</b> [1] 12/25</p> <p><b>just</b> [7] 19/8 23/1 23/20 36/5 39/23 41/16 41/17</p>	<p><b>K</b></p> <p><b>kept</b> [1] 21/25</p> <p><b>key</b> [4] 11/21 12/10 12/15 38/3</p> <p><b>kill</b> [2] 30/14 32/11</p> <p><b>kind</b> [1] 17/6</p> <p><b>know</b> [16] 17/18 24/21 28/5 28/21 28/23 28/23 28/23 28/24 28/24 28/25 29/3 29/21 30/13 34/7 37/14 42/3</p> <p><b>knowledge</b> [1] 1/12</p> <p><b>known</b> [2] 36/14 39/15</p> <p><b>knows</b> [1] 16/17</p> <hr/> <p><b>L</b></p> <p><b>lack</b> [3] 8/11 25/20 42/1</p> <p><b>languages</b> [1] 6/14</p> <p><b>large</b> [1] 6/20</p> <p><b>later</b> [7] 2/2 8/9 18/22 21/20 22/7 23/9 28/17</p> <p><b>lead</b> [1] 16/22</p> <p><b>learning</b> [1] 29/10</p> <p><b>least</b> [1] 17/22</p> <p><b>Lecturer</b> [1] 2/6</p> <p><b>Leeds</b> [1] 1/22</p> <p><b>left</b> [6] 3/21 4/19 20/21 37/25 41/1 41/25</p> <p><b>left-hand</b> [1] 4/19</p> <p><b>length</b> [1] 27/25</p> <p><b>less</b> [1] 24/19</p> <p><b>let's</b> [2] 16/9 17/9</p> <p><b>level</b> [4] 19/21 20/1 20/14 42/6</p> <p><b>liaison</b> [3] 2/1 2/4 27/7</p> <p><b>life</b> [1] 33/13</p> <p><b>light</b> [1] 8/3</p> <p><b>like</b> [4] 16/6 16/8 24/20 34/12</p> <p><b>likely</b> [2] 31/6 31/7</p> <p><b>likewise</b> [1] 27/3</p> <p><b>limitation</b> [1] 4/14</p> <p><b>limitations</b> [3] 6/16 15/2 25/15</p> <p><b>limited</b> [3] 7/4 13/16 18/15</p> <p><b>link</b> [1] 30/19</p> <p><b>linked</b> [1] 29/11</p> <p><b>listed</b> [2] 9/19 25/25</p> <p><b>literature</b> [1] 9/23</p> <p><b>little</b> [1] 26/24</p> <p><b>live</b> [1] 34/9</p> <p><b>living</b> [1] 32/17</p> <p><b>Local</b> [1] 16/21</p> <p><b>locally</b> [1] 16/25</p> <p><b>London</b> [2] 23/17 27/8</p> <p><b>long</b> [2] 13/14 29/7</p> <p><b>longitudinal</b> [6] 17/12 17/16 23/14</p>
---	--	---	--	--

<p><b>L</b></p> <p><b>longitudinal...</b> [3] 23/23 24/1 31/9</p> <p><b>look</b> [6] 3/21 12/15 23/14 28/2 37/7 37/25</p> <p><b>looked</b> [1] 10/12</p> <p><b>looking</b> [2] 4/9 15/3</p> <p><b>lost</b> [2] 8/21 42/13</p> <p><b>lot</b> [2] 14/12 27/1</p> <p><b>lots</b> [4] 14/14 23/15 27/2 27/2</p> <p><b>low</b> [3] 21/22 23/8 34/4</p> <p><b>lower</b> [1] 35/4</p>	<p>21/16 39/3 39/6</p> <p><b>member</b> [1] 36/21</p> <p><b>members</b> [1] 26/3</p> <p><b>memories</b> [1] 33/12</p> <p><b>memory</b> [1] 21/16</p> <p><b>mental</b> [16] 4/24 5/8 7/22 11/8 25/21 30/9 30/11 30/12 30/20 30/22 31/7 32/6 32/21 38/2 38/11 38/12</p> <p><b>mentally</b> [1] 25/20</p> <p><b>might</b> [16] 10/11 11/2 13/16 14/2 14/4 16/15 16/25 21/2 23/10 23/11 28/11 31/8 31/20 32/19 33/15 37/10</p> <p><b>mind</b> [2] 36/5 42/9</p> <p><b>minute</b> [1] 6/15</p> <p><b>minutes</b> [2] 11/10 14/2</p> <p><b>misdirected</b> [1] 3/24</p> <p><b>missing</b> [1] 24/25</p> <p><b>moments</b> [2] 6/18 22/23</p> <p><b>Monday</b> [1] 1/1</p> <p><b>more</b> [8] 3/1 6/5 6/21 14/5 22/10 23/22 29/2 33/21</p> <p><b>Morgan</b> [6] 1/4 1/5 1/8 19/19 27/18 43/3</p> <p><b>morning</b> [4] 14/2 27/6 37/12 42/17</p> <p><b>most</b> [5] 4/20 14/15 28/14 28/25 40/20</p> <p><b>mother</b> [2] 11/5 34/10</p> <p><b>move</b> [2] 29/6 29/24</p> <p><b>moves</b> [1] 41/23</p> <p><b>Mr</b> [3] 1/3 1/6 43/4</p> <p><b>Mr Carr</b> [3] 1/3 1/6 43/4</p> <p><b>much</b> [8] 6/24 23/6 25/22 29/3 39/8 40/6 42/15 42/18</p> <p><b>multidisciplinary</b> [1] 20/19</p> <p><b>must</b> [1] 35/20</p> <p><b>my</b> [13] 6/9 6/9 13/24 17/23 21/16 21/17 21/19 21/20 22/6 24/10 36/18 41/6 41/11</p> <p><b>mémoire</b> [6] 2/23 6/10 7/8 7/12 7/15 11/14</p> <p><b>mémoires</b> [4] 6/5 6/15 6/21 7/4</p>	<p>7/7 19/11 20/8 21/15 35/11</p> <p><b>need</b> [22] 6/2 6/4 7/3 7/11 9/6 16/24 19/14 22/24 22/25 23/14 23/14 23/22 24/14 26/5 28/19 30/5 31/5 33/6 33/16 38/24 39/9 39/12</p> <p><b>needed</b> [3] 7/14 11/19 38/10</p> <p><b>needs</b> [1] 24/8</p> <p><b>negative</b> [1] 12/1</p> <p><b>negatives</b> [2] 4/8 15/5</p> <p><b>nervosa</b> [1] 21/21</p> <p><b>networks</b> [1] 16/21</p> <p><b>never</b> [1] 4/9</p> <p><b>new</b> [7] 19/11 19/13 19/20 29/10 29/10 29/13 29/15</p> <p><b>next</b> [11] 1/4 8/16 16/23 17/2 23/6 29/24 30/8 31/13 33/25 34/14 34/23</p> <p><b>NHS</b> [9] 1/19 1/21 1/22 8/4 17/23 20/21 41/18 42/8 42/13</p> <p><b>night</b> [1] 23/19</p> <p><b>no</b> [12] 3/12 4/6 6/22 13/11 14/16 18/2 18/17 23/5 25/6 40/22 40/22 41/13</p> <p><b>nodded</b> [1] 9/21</p> <p><b>none</b> [1] 11/12</p> <p><b>nonetheless</b> [3] 4/16 21/23 22/2</p> <p><b>not</b> [28] 5/23 6/15 6/17 7/7 11/13 12/23 13/9 13/17 13/17 15/14 16/3 18/2 18/15 18/25 19/8 20/22 22/4 22/8 28/19 29/2 30/22 31/6 33/20 34/4 35/10 36/4 36/8 37/4</p> <p><b>nothing</b> [2] 6/5 6/21</p> <p><b>notion</b> [1] 33/5</p> <p><b>Nottingham</b> [2] 17/10 17/12</p> <p><b>notwithstanding</b> [1] 4/14</p> <p><b>now</b> [15] 3/1 4/3 6/12 7/19 9/15 10/11 13/8 18/3 22/9 24/3 30/2 35/19 40/5 42/6 42/9</p> <p><b>number</b> [12] 9/16 9/17 11/23 15/4 15/5 25/25 27/11 27/21 27/24 33/15 33/19 35/5</p> <p><b>number 1</b> [1] 11/23</p> <p><b>nurses</b> [2] 24/24 25/3</p> <p><b>nursing</b> [1] 24/13</p>	<p><b>objectively</b> [1] 25/19</p> <p><b>obscure</b> [1] 10/17</p> <p><b>obscuring</b> [1] 10/23</p> <p><b>observed</b> [1] 10/25</p> <p><b>obtain</b> [1] 41/17</p> <p><b>obtaining</b> [4] 25/14 26/10 26/14 26/17</p> <p><b>obviously</b> [2] 23/5 29/18</p> <p><b>occasionally</b> [1] 22/3</p> <p><b>occupational</b> [2] 24/13 24/24</p> <p><b>off</b> [3] 5/18 23/22 28/18</p> <p><b>offenders</b> [1] 15/7</p> <p><b>offending</b> [2] 15/8 15/11</p> <p><b>often</b> [4] 4/24 17/21 25/18 37/16</p> <p><b>Okay</b> [2] 18/3 40/5</p> <p><b>old</b> [3] 15/13 21/21 39/15</p> <p><b>old-fashioned</b> [1] 39/15</p> <p><b>on</b> [57]</p> <p><b>once</b> [3] 3/1 33/24 34/14</p> <p><b>one</b> [26] 4/9 5/23 6/16 7/16 8/15 9/10 10/20 12/22 12/23 14/3 14/13 14/15 17/11 17/15 17/20 23/4 23/6 23/22 26/25 28/10 32/1 32/15 36/11 36/12 37/15 41/16</p> <p><b>one-off</b> [1] 23/22</p> <p><b>ones</b> [1] 28/15</p> <p><b>ongoing</b> [1] 8/5</p> <p><b>only</b> [4] 18/15 18/25 25/21 37/4</p> <p><b>onto</b> [1] 16/22</p> <p><b>open</b> [4] 23/9 28/13 29/4 29/9</p> <p><b>operating</b> [2] 5/20 42/7</p> <p><b>opinion</b> [2] 16/14 22/6</p> <p><b>or</b> [38] 3/9 5/2 5/23 7/16 11/5 12/2 12/7 14/13 16/5 17/22 18/13 18/20 19/2 19/8 19/17 20/15 24/12 25/20 26/2 26/3 26/17 29/13 29/15 29/16 30/4 30/22 31/1 32/15 35/10 35/14 35/17 36/22 37/13 39/2 39/2 39/7 40/9 41/24</p> <p><b>order</b> [2] 6/14 35/11</p> <p><b>organisation</b> [1] 42/8</p> <p><b>organisations</b> [1] 42/10</p> <p><b>original</b> [1] 19/21</p> <p><b>other</b> [10] 5/15 14/13 15/18 24/25 26/21</p>	<p>26/21 30/11 41/12 41/18 41/25</p> <p><b>others</b> [5] 2/20 7/22 18/8 18/14 40/10</p> <p><b>otherwise</b> [1] 17/9</p> <p><b>our</b> [2] 24/10 28/18</p> <p><b>out</b> [16] 1/14 10/25 11/12 11/21 14/14 15/13 17/3 20/9 21/9 23/7 24/5 24/25 33/24 34/17 39/5 40/12</p> <p><b>outcome</b> [2] 36/9 39/2</p> <p><b>outcomes</b> [5] 4/12 7/10 12/1 12/9 35/14</p> <p><b>Outreach</b> [4] 8/20 24/16 24/19 35/12</p> <p><b>outstanding</b> [1] 38/19</p> <p><b>over</b> [6] 10/11 26/5 30/4 33/18 35/5 39/17</p> <p><b>overall</b> [1] 35/20</p> <p><b>overly</b> [1] 10/15</p> <p><b>overly-simplistic</b> [1] 10/15</p> <p><b>own</b> [3] 13/24 21/19 33/17</p> <p><b>ownership</b> [1] 42/12</p>
<p><b>M</b></p> <p><b>machete</b> [1] 23/17</p> <p><b>made</b> [3] 9/16 12/16 33/16</p> <p><b>magnified</b> [1] 8/10</p> <p><b>mainly</b> [1] 3/6</p> <p><b>make</b> [8] 11/4 12/8 19/6 22/19 23/25 35/16 35/19 36/25</p> <p><b>making</b> [3] 15/21 21/10 28/10</p> <p><b>man</b> [1] 7/6</p> <p><b>managed</b> [1] 8/6</p> <p><b>management</b> [17] 5/14 9/3 11/25 34/15 34/25 35/6 35/15 35/20 36/1 36/20 36/23 37/1 37/3 38/22 39/2 39/19 40/21</p> <p><b>managing</b> [1] 36/15</p> <p><b>manifesto</b> [1] 5/25</p> <p><b>many</b> [4] 14/13 25/23 39/16 40/19</p> <p><b>MAPPA</b> [1] 8/15</p> <p><b>market</b> [1] 42/7</p> <p><b>materialises</b> [1] 12/13</p> <p><b>mathematics</b> [1] 4/7</p> <p><b>may</b> [19] 8/16 15/12 15/14 19/21 19/22 20/1 20/4 20/14 20/14 23/15 23/17 26/21 29/2 31/16 33/6 33/11 33/13 41/3 41/6</p> <p><b>maybe</b> [1] 11/10</p> <p><b>me</b> [3] 32/11 32/11 32/13</p> <p><b>mean</b> [2] 14/24 37/10</p> <p><b>measures</b> [1] 5/10</p> <p><b>measuring</b> [1] 4/11</p> <p><b>medical</b> [7] 1/18 1/21 2/7 3/15 11/25 16/8 26/1</p> <p><b>medication</b> [2] 11/8 39/7</p> <p><b>medicine</b> [2] 4/1 4/16</p> <p><b>medicolegal</b> [2] 2/10 27/3</p> <p><b>medium</b> [1] 34/5</p> <p><b>meeting</b> [4] 20/18</p>	<p><b>mind</b> [2] 36/5 42/9</p> <p><b>minute</b> [1] 6/15</p> <p><b>minutes</b> [2] 11/10 14/2</p> <p><b>misdirected</b> [1] 3/24</p> <p><b>missing</b> [1] 24/25</p> <p><b>moments</b> [2] 6/18 22/23</p> <p><b>Monday</b> [1] 1/1</p> <p><b>more</b> [8] 3/1 6/5 6/21 14/5 22/10 23/22 29/2 33/21</p> <p><b>Morgan</b> [6] 1/4 1/5 1/8 19/19 27/18 43/3</p> <p><b>morning</b> [4] 14/2 27/6 37/12 42/17</p> <p><b>most</b> [5] 4/20 14/15 28/14 28/25 40/20</p> <p><b>mother</b> [2] 11/5 34/10</p> <p><b>move</b> [2] 29/6 29/24</p> <p><b>moves</b> [1] 41/23</p> <p><b>Mr</b> [3] 1/3 1/6 43/4</p> <p><b>Mr Carr</b> [3] 1/3 1/6 43/4</p> <p><b>much</b> [8] 6/24 23/6 25/22 29/3 39/8 40/6 42/15 42/18</p> <p><b>multidisciplinary</b> [1] 20/19</p> <p><b>must</b> [1] 35/20</p> <p><b>my</b> [13] 6/9 6/9 13/24 17/23 21/16 21/17 21/19 21/20 22/6 24/10 36/18 41/6 41/11</p> <p><b>mémoire</b> [6] 2/23 6/10 7/8 7/12 7/15 11/14</p> <p><b>mémoires</b> [4] 6/5 6/15 6/21 7/4</p> <p><b>N</b></p> <p><b>name</b> [1] 1/7</p> <p><b>national</b> [1] 17/4</p> <p><b>nature</b> [2] 21/2 21/17</p> <p><b>necessarily</b> [3] 16/3 22/16 26/23</p> <p><b>necessary</b> [6] 6/17</p>	<p><b>needed</b> [3] 7/14 11/19 38/10</p> <p><b>needs</b> [1] 24/8</p> <p><b>negative</b> [1] 12/1</p> <p><b>negatives</b> [2] 4/8 15/5</p> <p><b>nervosa</b> [1] 21/21</p> <p><b>networks</b> [1] 16/21</p> <p><b>never</b> [1] 4/9</p> <p><b>new</b> [7] 19/11 19/13 19/20 29/10 29/10 29/13 29/15</p> <p><b>next</b> [11] 1/4 8/16 16/23 17/2 23/6 29/24 30/8 31/13 33/25 34/14 34/23</p> <p><b>NHS</b> [9] 1/19 1/21 1/22 8/4 17/23 20/21 41/18 42/8 42/13</p> <p><b>night</b> [1] 23/19</p> <p><b>no</b> [12] 3/12 4/6 6/22 13/11 14/16 18/2 18/17 23/5 25/6 40/22 40/22 41/13</p> <p><b>nodded</b> [1] 9/21</p> <p><b>none</b> [1] 11/12</p> <p><b>nonetheless</b> [3] 4/16 21/23 22/2</p> <p><b>not</b> [28] 5/23 6/15 6/17 7/7 11/13 12/23 13/9 13/17 13/17 15/14 16/3 18/2 18/15 18/25 19/8 20/22 22/4 22/8 28/19 29/2 30/22 31/6 33/20 34/4 35/10 36/4 36/8 37/4</p> <p><b>nothing</b> [2] 6/5 6/21</p> <p><b>notion</b> [1] 33/5</p> <p><b>Nottingham</b> [2] 17/10 17/12</p> <p><b>notwithstanding</b> [1] 4/14</p> <p><b>now</b> [15] 3/1 4/3 6/12 7/19 9/15 10/11 13/8 18/3 22/9 24/3 30/2 35/19 40/5 42/6 42/9</p> <p><b>number</b> [12] 9/16 9/17 11/23 15/4 15/5 25/25 27/11 27/21 27/24 33/15 33/19 35/5</p> <p><b>number 1</b> [1] 11/23</p> <p><b>nurses</b> [2] 24/24 25/3</p> <p><b>nursing</b> [1] 24/13</p> <p><b>O</b></p> <p><b>o'clock</b> [1] 27/6</p>	<p><b>objectively</b> [1] 25/19</p> <p><b>obscure</b> [1] 10/17</p> <p><b>obscuring</b> [1] 10/23</p> <p><b>observed</b> [1] 10/25</p> <p><b>obtain</b> [1] 41/17</p> <p><b>obtaining</b> [4] 25/14 26/10 26/14 26/17</p> <p><b>obviously</b> [2] 23/5 29/18</p> <p><b>occasionally</b> [1] 22/3</p> <p><b>occupational</b> [2] 24/13 24/24</p> <p><b>off</b> [3] 5/18 23/22 28/18</p> <p><b>offenders</b> [1] 15/7</p> <p><b>offending</b> [2] 15/8 15/11</p> <p><b>often</b> [4] 4/24 17/21 25/18 37/16</p> <p><b>Okay</b> [2] 18/3 40/5</p> <p><b>old</b> [3] 15/13 21/21 39/15</p> <p><b>old-fashioned</b> [1] 39/15</p> <p><b>on</b> [57]</p> <p><b>once</b> [3] 3/1 33/24 34/14</p> <p><b>one</b> [26] 4/9 5/23 6/16 7/16 8/15 9/10 10/20 12/22 12/23 14/3 14/13 14/15 17/11 17/15 17/20 23/4 23/6 23/22 26/25 28/10 32/1 32/15 36/11 36/12 37/15 41/16</p> <p><b>one-off</b> [1] 23/22</p> <p><b>ones</b> [1] 28/15</p> <p><b>ongoing</b> [1] 8/5</p> <p><b>only</b> [4] 18/15 18/25 25/21 37/4</p> <p><b>onto</b> [1] 16/22</p> <p><b>open</b> [4] 23/9 28/13 29/4 29/9</p> <p><b>operating</b> [2] 5/20 42/7</p> <p><b>opinion</b> [2] 16/14 22/6</p> <p><b>or</b> [38] 3/9 5/2 5/23 7/16 11/5 12/2 12/7 14/13 16/5 17/22 18/13 18/20 19/2 19/8 19/17 20/15 24/12 25/20 26/2 26/3 26/17 29/13 29/15 29/16 30/4 30/22 31/1 32/15 35/10 35/14 35/17 36/22 37/13 39/2 39/2 39/7 40/9 41/24</p> <p><b>order</b> [2] 6/14 35/11</p> <p><b>organisation</b> [1] 42/8</p> <p><b>organisations</b> [1] 42/10</p> <p><b>original</b> [1] 19/21</p> <p><b>other</b> [10] 5/15 14/13 15/18 24/25 26/21</p>	<p><b>page</b> [25] 4/18 11/21 16/19 16/23 18/6 18/23 26/5 27/18 27/24 29/24 29/24 29/25 31/13 31/13 33/25 33/25 34/23 35/5 35/5 37/18 38/21 39/11 39/17 39/17 43/2</p> <p><b>page 25</b> [1] 16/19</p> <p><b>page 30</b> [1] 37/18</p> <p><b>page 35</b> [1] 27/18</p> <p><b>page 36</b> [1] 29/24</p> <p><b>page 37</b> [1] 31/13</p> <p><b>page 38</b> [1] 33/25</p> <p><b>page 39</b> [1] 38/21</p> <p><b>page 40</b> [1] 39/17</p> <p><b>page 5</b> [1] 18/6</p> <p><b>page 6</b> [1] 11/21</p> <p><b>page 60</b> [1] 35/5</p> <p><b>pages</b> [1] 33/19</p> <p><b>paper</b> [1] 38/5</p> <p><b>paragraph</b> [21] 3/21 4/19 4/23 5/24 7/24 10/13 12/7 12/8 14/18 14/19 18/11 18/22 18/23 19/6 22/19 25/13 25/25 26/5 26/13 37/25 41/7</p> <p><b>paragraph 14</b> [1] 7/24</p> <p><b>paragraph 17</b> [1] 10/13</p> <p><b>paragraph 24</b> [1] 18/11</p> <p><b>paragraph 25</b> [1]</p>

<p><b>P</b></p> <p><b>paragraph 25...</b> [1] 19/6</p> <p><b>paragraph 26</b> [1] 22/19</p> <p><b>Paragraph 27</b> [1] 25/13</p> <p><b>paragraph 28</b> [1] 25/25</p> <p><b>paragraph 29</b> [1] 26/5</p> <p><b>paragraph 30</b> [1] 26/13</p> <p><b>paragraph 45</b> [1] 14/18</p> <p><b>paragraph 49</b> [2] 18/22 18/23</p> <p><b>paragraph 74</b> [1] 41/7</p> <p><b>paragraphs</b> [4] 17/2 18/1 18/7 25/9</p> <p><b>paragraphs 24-26</b> [1] 18/7</p> <p><b>paragraphs 27</b> [1] 25/9</p> <p><b>paranoid</b> [1] 30/13</p> <p><b>part</b> [6] 6/24 19/7 20/9 20/16 30/22 37/8</p> <p><b>participating</b> [1] 11/16</p> <p><b>particular</b> [1] 10/15</p> <p><b>particularly</b> [3] 19/11 32/5 38/1</p> <p><b>partnership</b> [1] 1/22</p> <p><b>parts</b> [1] 41/18</p> <p><b>patient</b> [30] 2/14 11/3 11/11 15/11 15/16 17/9 18/12 19/11 19/14 19/16 19/20 20/6 20/19 21/10 21/18 22/2 22/15 25/2 26/9 27/9 29/21 31/16 34/13 36/2 36/2 36/5 36/15 36/22 37/16 39/15</p> <p><b>patient's</b> [1] 38/24</p> <p><b>patients</b> [11] 9/22 14/10 14/11 17/1 20/25 25/18 28/11 32/10 33/8 33/10 39/5</p> <p><b>people</b> [16] 6/14 7/9 9/10 9/12 10/4 15/18 22/4 30/10 30/11 30/13 32/8 32/14 32/19 34/16 40/20 41/1</p> <p><b>perfect</b> [1] 4/9</p> <p><b>perhaps</b> [2] 28/25 33/10</p> <p><b>person</b> [8] 7/6 11/16 22/8 30/15 31/4 32/9 35/12 36/12</p> <p><b>person's</b> [2] 23/10 30/19</p> <p><b>personality</b> [1] 41/6</p>	<p><b>persuade</b> [1] 11/6</p> <p><b>philosophically</b> [2] 28/22 36/10</p> <p><b>philosophies</b> [1] 8/19</p> <p><b>phone</b> [1] 11/4</p> <p><b>physical</b> [2] 19/1 22/11</p> <p><b>picked</b> [1] 33/18</p> <p><b>picture</b> [3] 24/2 25/14 25/22</p> <p><b>pilot</b> [1] 5/16</p> <p><b>place</b> [1] 2/5</p> <p><b>plan</b> [12] 12/12 20/11 34/15 34/21 34/25 35/6 35/20 35/21 36/14 37/6 39/2 39/19</p> <p><b>plane</b> [2] 5/18 5/20</p> <p><b>planning</b> [3] 12/3 12/10 37/3</p> <p><b>plans</b> [1] 35/14</p> <p><b>plausibly</b> [1] 18/13</p> <p><b>please</b> [11] 1/7 4/18 11/21 16/19 18/5 29/24 31/13 33/25 37/18 38/21 40/5</p> <p><b>pleasure</b> [1] 27/4</p> <p><b>pleasures</b> [1] 26/25</p> <p><b>pm</b> [2] 1/2 42/19</p> <p><b>point</b> [29] 3/1 11/23 12/8 12/16 19/6 20/24 21/9 21/17 22/19 24/20 28/1 28/4 28/9 29/11 30/3 30/8 30/25 32/3 32/21 33/2 33/21 34/24 35/19 36/25 38/23 39/12 39/18 39/19 39/23</p> <p><b>points</b> [7] 20/13 23/15 27/21 31/15 31/18 33/20 35/6</p> <p><b>police</b> [3] 26/2 38/2 38/11</p> <p><b>policies</b> [1] 9/14</p> <p><b>policy</b> [1] 3/3</p> <p><b>political</b> [1] 42/6</p> <p><b>politically</b> [1] 5/6</p> <p><b>Poor</b> [1] 31/1</p> <p><b>population</b> [5] 14/7 15/7 15/9 15/10 15/17</p> <p><b>position</b> [4] 3/7 8/16 9/7 14/12</p> <p><b>positions</b> [1] 10/6</p> <p><b>positives</b> [2] 4/8 15/5</p> <p><b>possibility</b> [1] 29/10</p> <p><b>possible</b> [1] 25/22</p> <p><b>possibly</b> [1] 25/23</p> <p><b>post</b> [1] 3/13</p> <p><b>potential</b> [2] 25/25 32/5</p> <p><b>potentially</b> [1] 33/9</p> <p><b>practical</b> [2] 29/2 30/12</p> <p><b>practicality</b> [1] 13/12</p> <p><b>practice</b> [10] 3/19 6/18 9/8 10/17 15/21</p>	<p>19/8 20/20 21/19 30/6 40/18</p> <p><b>practised</b> [1] 29/8</p> <p><b>practitioners</b> [2] 2/24 12/1</p> <p><b>Precisely</b> [2] 12/14 31/22</p> <p><b>predecessor</b> [1] 38/5</p> <p><b>predict</b> [1] 15/7</p> <p><b>predicting</b> [1] 22/4</p> <p><b>predominantly</b> [1] 16/12</p> <p><b>preoccupation</b> [1] 32/8</p> <p><b>prepared</b> [2] 1/9 2/12</p> <p><b>present</b> [3] 31/20 33/22 39/22</p> <p><b>presentation</b> [3] 29/13 29/15 31/24</p> <p><b>presents</b> [3] 18/12 23/16 31/3</p> <p><b>pressures</b> [1] 13/22</p> <p><b>prevent</b> [1] 7/9</p> <p><b>previous</b> [2] 7/20 30/3</p> <p><b>primary</b> [1] 20/7</p> <p><b>prime</b> [1] 5/16</p> <p><b>principle</b> [1] 22/12</p> <p><b>principles</b> [4] 38/22 40/12 40/17 41/9</p> <p><b>probably</b> [1] 24/25</p> <p><b>probation</b> [1] 26/2</p> <p><b>procedure</b> [1] 16/9</p> <p><b>process</b> [14] 4/7 4/20 4/21 6/6 6/8 10/1 11/16 14/23 14/25 18/4 20/9 27/20 31/10 39/2</p> <p><b>processes</b> [4] 3/23 4/3 4/4 8/17</p> <p><b>produce</b> [1] 10/1</p> <p><b>produced</b> [2] 2/19 6/19</p> <p><b>professional</b> [6] 1/14 10/17 10/23 12/25 15/23 17/7</p> <p><b>professionals</b> [4] 24/6 24/9 39/20 39/24</p> <p><b>Professor</b> [6] 1/4 1/5 2/6 19/19 27/18 43/3</p> <p><b>Professor at</b> [1] 2/6</p> <p><b>Professor John</b> [1] 1/4</p> <p><b>Professor Morgan</b> [2] 19/19 27/18</p> <p><b>promise</b> [1] 14/12</p> <p><b>properly</b> [2] 5/21 23/13</p> <p><b>protective</b> [1] 37/5</p> <p><b>psychiatric</b> [4] 3/19 19/13 25/3 40/18</p> <p><b>psychiatrist</b> [8] 1/18 16/15 25/6 27/1 27/7 29/2 29/20 36/20</p> <p><b>psychiatrists</b> [12] 9/16 9/19 16/13 24/11</p>	<p>24/25 25/3 26/6 27/24 28/8 40/19 40/21 40/23</p> <p><b>psychiatry</b> [10] 1/25 2/1 2/4 2/15 3/23 3/25 4/15 6/2 6/19 19/8</p> <p><b>psychosis</b> [2] 29/16 32/22</p> <p><b>psychotic</b> [4] 29/21 32/12 32/14 32/25</p> <p><b>public</b> [2] 36/3 36/6</p> <p><b>publication</b> [7] 3/4 3/7 3/11 7/21 9/7 9/9 40/7</p> <p><b>published</b> [1] 3/14</p> <p><b>pull</b> [1] 39/5</p> <p><b>punched</b> [1] 23/19</p> <p><b>purely</b> [2] 12/22 12/23</p> <p><b>purpose</b> [2] 36/4 37/21</p> <p><b>purposes</b> [1] 25/10</p> <p><b>put</b> [5] 15/24 18/4 27/17 32/13 36/11</p>	<p><b>recommendation</b> [1] 15/20</p> <p><b>recommendations</b> [1] 11/22</p> <p><b>recommended</b> [2] 16/6 17/25</p> <p><b>records</b> [3] 26/1 26/2 27/5</p> <p><b>reduce</b> [1] 36/3</p> <p><b>reduced</b> [1] 12/2</p> <p><b>reduces</b> [1] 12/12</p> <p><b>Reed</b> [1] 28/16</p> <p><b>refer</b> [5] 4/23 10/11 10/14 16/10 27/14</p> <p><b>referred</b> [2] 13/5 22/25</p> <p><b>referring</b> [3] 4/5 8/24 32/22</p> <p><b>reflect</b> [1] 41/6</p> <p><b>reflecting</b> [1] 10/1</p> <p><b>reflects</b> [1] 11/23</p> <p><b>regular</b> [1] 22/22</p> <p><b>relapse</b> [1] 37/6</p> <p><b>relation</b> [2] 39/18 41/17</p> <p><b>Relationship</b> [1] 30/8</p> <p><b>relative</b> [1] 27/10</p> <p><b>release</b> [1] 31/17</p> <p><b>relevant</b> [7] 20/24 26/22 29/19 30/9 30/22 33/16 41/9</p> <p><b>reliable</b> [2] 5/12 31/24</p> <p><b>reliance</b> [1] 24/19</p> <p><b>relied</b> [2] 7/9 32/1</p> <p><b>relies</b> [2] 12/22 12/23</p> <p><b>reluctant</b> [1] 26/21</p> <p><b>rely</b> [3] 5/21 7/3 25/16</p> <p><b>remain</b> [2] 41/5 41/9</p> <p><b>remained</b> [2] 38/18 40/15</p> <p><b>remains</b> [4] 3/24 16/24 23/8 38/15</p> <p><b>remember</b> [1] 13/24</p> <p><b>remembered</b> [1] 5/19</p> <p><b>remit</b> [1] 24/15</p> <p><b>repeated</b> [1] 23/20</p> <p><b>report</b> [27] 2/19 2/22 3/4 5/7 6/19 7/19 9/20 10/1 11/20 13/3 13/6 13/9 14/21 15/21 16/19 27/17 37/22 38/13 38/13 38/14 40/2 40/9 40/10 40/12 40/21 41/2 41/9</p> <p><b>reported</b> [2] 8/9 38/4</p> <p><b>reports</b> [2] 9/12 26/2</p> <p><b>reposition</b> [1] 6/4</p> <p><b>required</b> [1] 8/3</p> <p><b>requires</b> [1] 22/22</p> <p><b>requiring</b> [1] 31/18</p> <p><b>resource</b> [1] 27/12</p> <p><b>respect</b> [1] 15/22</p> <p><b>responses</b> [1] 38/3</p> <p><b>responsibility</b> [4]</p>
--	---	--	---	---

<p><b>R</b></p> <p><b>responsibility... [4]</b> 25/8 36/12 36/13 42/12</p> <p><b>responsible [3]</b> 25/4 25/7 36/21</p> <p><b>restricted [1]</b> 31/17</p> <p><b>resumed [1]</b> 23/11</p> <p><b>Rethinking [1]</b> 7/22</p> <p><b>retirement [1]</b> 2/9</p> <p><b>retiring [1]</b> 1/18</p> <p><b>return [2]</b> 6/2 21/13</p> <p><b>review [3]</b> 20/19 21/14 22/22</p> <p><b>reviewed [1]</b> 20/16</p> <p><b>revised [1]</b> 3/10</p> <p><b>revision [1]</b> 8/2</p> <p><b>rhetorical [1]</b> 6/22</p> <p><b>Richard [1]</b> 28/16</p> <p><b>right [2]</b> 5/25 16/20</p> <p><b>right-hand [2]</b> 5/25 16/20</p> <p><b>ring [1]</b> 27/10</p> <p><b>rise [1]</b> 18/14</p> <p><b>risk [140]</b></p> <p><b>risk factors [3]</b> 33/3 33/15 37/5</p> <p><b>risks [6]</b> 22/13 28/14 28/19 32/16 36/3 39/21</p> <p><b>role [4]</b> 2/17 9/25 14/5 16/14</p> <p><b>room [1]</b> 10/5</p> <p><b>route [1]</b> 35/18</p> <p><b>routine [3]</b> 13/10 19/7 20/17</p> <p><b>Royal [2]</b> 2/15 7/20</p> <p><b>run [2]</b> 23/16 36/1</p>	<p><b>secure [1]</b> 19/8</p> <p><b>see [8]</b> 5/24 11/23 17/2 18/7 21/10 34/23 38/8 39/23</p> <p><b>seeing [2]</b> 22/7 28/11</p> <p><b>seek [3]</b> 16/14 26/6 34/25</p> <p><b>seeking [1]</b> 26/11</p> <p><b>seemed [1]</b> 15/11</p> <p><b>seems [2]</b> 22/1 40/2</p> <p><b>seen [1]</b> 36/20</p> <p><b>Senior [1]</b> 2/5</p> <p><b>sense [6]</b> 9/10 14/16 29/2 42/4 42/6 42/12</p> <p><b>sensible [1]</b> 12/3</p> <p><b>sensitivity [1]</b> 15/4</p> <p><b>sentence [4]</b> 3/22 16/22 22/20 38/9</p> <p><b>separated [2]</b> 4/21 36/17</p> <p><b>separately [2]</b> 30/10 34/8</p> <p><b>series [1]</b> 6/25</p> <p><b>service [1]</b> 8/4</p> <p><b>services [8]</b> 7/22 8/10 8/20 9/4 26/24 38/2 42/4 42/5</p> <p><b>set [3]</b> 1/14 5/18 40/12</p> <p><b>sets [1]</b> 11/21</p> <p><b>setting [5]</b> 13/16 13/21 13/23 21/9 31/16</p> <p><b>settings [5]</b> 13/25 17/14 19/9 31/17 36/19</p> <p><b>seventh [1]</b> 29/11</p> <p><b>severe [1]</b> 23/21</p> <p><b>share [1]</b> 26/22</p> <p><b>sharing [5]</b> 26/14 37/19 37/23 38/1 38/10</p> <p><b>shoes [2]</b> 28/17 28/18</p> <p><b>should [21]</b> 5/10 5/21 12/5 16/17 18/8 19/7 20/15 22/14 24/5 24/12 25/4 25/6 25/7 34/25 35/7 35/16 37/6 39/1 39/3 40/2 40/24</p> <p><b>sic [2]</b> 8/9 35/5</p> <p><b>side [2]</b> 4/19 5/25</p> <p><b>significance [1]</b> 35/25</p> <p><b>signs [3]</b> 6/3 37/1 37/6</p> <p><b>silos [2]</b> 36/11 42/5</p> <p><b>similar [1]</b> 39/17</p> <p><b>simple [1]</b> 6/11</p> <p><b>simplistic [2]</b> 6/12 10/15</p> <p><b>simply [6]</b> 7/13 15/15 26/24 34/4 35/3 40/23</p> <p><b>since [3]</b> 2/9 8/10 40/9</p> <p><b>single [5]</b> 17/25</p>	<p>20/24 21/3 23/21 42/9</p> <p><b>sit [1]</b> 8/15</p> <p><b>sitting [1]</b> 7/5</p> <p><b>situation [1]</b> 8/18</p> <p><b>sixth [1]</b> 28/4</p> <p><b>sleep [1]</b> 37/11</p> <p><b>slightly [1]</b> 41/2</p> <p><b>smaller [1]</b> 23/20</p> <p><b>so [74]</b></p> <p><b>social [4]</b> 24/13 24/24 34/13 38/2</p> <p><b>solely [2]</b> 24/10 25/16</p> <p><b>some [10]</b> 5/7 12/1 20/25 26/13 27/19 29/18 30/10 36/19 37/11 37/19</p> <p><b>somebody [1]</b> 41/23</p> <p><b>someone [9]</b> 16/17 23/5 23/16 23/19 24/21 24/23 27/6 31/11 37/10</p> <p><b>something [9]</b> 5/11 11/2 11/2 11/15 11/17 29/19 30/17 33/12 34/19</p> <p><b>sometimes [1]</b> 21/5</p> <p><b>somewhat [1]</b> 42/13</p> <p><b>sorry [2]</b> 3/12 33/8</p> <p><b>sort [1]</b> 42/6</p> <p><b>sorts [3]</b> 6/13 10/5 28/19</p> <p><b>sources [4]</b> 25/23 26/1 26/7 27/3</p> <p><b>speak [3]</b> 24/11 25/7 38/25</p> <p><b>specialised [1]</b> 14/6</p> <p><b>specialities [2]</b> 9/17 25/1</p> <p><b>speciality [1]</b> 1/25</p> <p><b>specific [6]</b> 4/4 15/11 15/17 20/13 33/6 33/7</p> <p><b>specificity [1]</b> 15/4</p> <p><b>specify [1]</b> 37/6</p> <p><b>spend [1]</b> 11/10</p> <p><b>spoke [1]</b> 24/17</p> <p><b>St [1]</b> 2/6</p> <p><b>staff [2]</b> 24/13 24/19</p> <p><b>stage [1]</b> 34/14</p> <p><b>stages [2]</b> 21/20 22/7</p> <p><b>stand [1]</b> 36/8</p> <p><b>standalone [1]</b> 35/23</p> <p><b>standard [2]</b> 17/1 17/7</p> <p><b>standardised [1]</b> 17/4</p> <p><b>start [4]</b> 1/7 7/19 27/14 42/17</p> <p><b>starting [1]</b> 16/21</p> <p><b>state [10]</b> 3/22 4/25 6/1 9/22 30/9 30/20 30/22 32/6 32/21 37/2</p> <p><b>statement [19]</b> 1/9 1/14 2/12 3/2 7/24 10/13 12/20 13/5 14/18 18/5 18/7 18/22</p>	<p>18/24 25/9 32/24 35/19 36/25 40/11 41/7</p> <p><b>states [1]</b> 38/9</p> <p><b>static [3]</b> 8/25 22/21 23/2</p> <p><b>stating [1]</b> 14/20</p> <p><b>statistics [1]</b> 15/3</p> <p><b>statutory [1]</b> 40/22</p> <p><b>stay [1]</b> 18/23</p> <p><b>still [2]</b> 31/13 36/8</p> <p><b>stop [1]</b> 33/9</p> <p><b>strategies [1]</b> 38/10</p> <p><b>stratification [1]</b> 14/1</p> <p><b>streets [1]</b> 23/17</p> <p><b>stressed [1]</b> 14/21</p> <p><b>striking [1]</b> 15/13</p> <p><b>stripping [1]</b> 8/21</p> <p><b>structured [5]</b> 12/18 12/24 15/23 17/7 37/4</p> <p><b>structures [1]</b> 8/4</p> <p><b>student [2]</b> 21/21 26/9</p> <p><b>style [1]</b> 6/22</p> <p><b>substitute [2]</b> 11/1 11/15</p> <p><b>substituting [1]</b> 11/18</p> <p><b>succinct [1]</b> 39/12</p> <p><b>such [6]</b> 10/16 14/4 15/2 16/16 33/4 35/10</p> <p><b>sudden [1]</b> 21/22</p> <p><b>sufficient [4]</b> 6/17 7/3 7/7 8/17</p> <p><b>suggested [1]</b> 17/25</p> <p><b>suggesting [1]</b> 40/2</p> <p><b>suggestion [1]</b> 17/3</p> <p><b>suitably [1]</b> 24/12</p> <p><b>summarise [2]</b> 1/17 23/24</p> <p><b>summary [1]</b> 39/12</p> <p><b>supervision [2]</b> 14/22 35/17</p> <p><b>support [1]</b> 35/18</p> <p><b>surprised [1]</b> 22/3</p> <p><b>survey [2]</b> 4/24 38/4</p> <p><b>surveys [1]</b> 9/23</p> <p><b>sworn [2]</b> 1/5 43/3</p> <p><b>symptoms [4]</b> 6/4 18/12 32/22 32/25</p> <p><b>systematic [1]</b> 6/3</p>	<p>29/19</p> <p><b>teaching [1]</b> 27/8</p> <p><b>team [2]</b> 36/15 36/21</p> <p><b>teams [4]</b> 8/21 8/22 38/2 38/12</p> <p><b>teeth [2]</b> 40/22 41/1</p> <p><b>telephone [1]</b> 27/11</p> <p><b>tell [1]</b> 25/18</p> <p><b>telling [1]</b> 30/16</p> <p><b>ten [1]</b> 34/7</p> <p><b>tend [1]</b> 28/23</p> <p><b>tends [1]</b> 17/19</p> <p><b>term [1]</b> 12/9</p> <p><b>terms [3]</b> 7/1 14/1 16/5</p> <p><b>than [7]</b> 3/1 6/5 6/21 10/17 17/13 22/21 35/23</p> <p><b>thank [8]</b> 7/18 12/6 24/3 40/5 41/11 42/14 42/15 42/17</p> <p><b>that [177]</b></p> <p><b>that's [17]</b> 1/13 2/16 3/20 4/11 9/10 11/19 13/2 13/12 18/15 21/5 30/17 30/22 34/3 34/16 34/21 38/5 40/9</p> <p><b>their [23]</b> 5/18 5/20 7/2 7/13 9/13 11/5 11/5 15/7 15/14 21/1 21/23 22/10 22/11 27/11 30/12 30/20 31/7 32/15 32/20 33/13 33/17 34/10 39/5</p> <p><b>them [12]</b> 11/6 11/7 11/7 17/3 21/1 22/9 22/10 30/14 32/10 33/13 33/20 35/4</p> <p><b>theme [1]</b> 39/17</p> <p><b>themselves [1]</b> 11/17</p> <p><b>then [34]</b> 2/2 2/22 7/9 8/10 8/15 9/3 11/4 11/11 12/15 17/12 20/1 20/8 22/25 23/6 23/8 26/13 27/10 27/14 28/4 28/17 30/17 30/25 32/9 32/21 33/13 33/25 34/14 34/19 35/5 38/8 38/13 40/7 41/7 42/11</p> <p><b>theoretically [1]</b> 17/10</p> <p><b>therapists [2]</b> 24/13 24/24</p> <p><b>therapy [1]</b> 10/4</p> <p><b>there [40]</b> 2/22 4/4 4/8 5/11 6/6 8/11 8/16 8/24 10/24 12/5 13/21 14/14 14/14 16/13 16/24 17/3 19/6 19/13 19/14 19/16 20/19 20/23 20/24 22/19 23/4 24/20 26/23 28/24 30/19 32/18 33/6 33/15 33/19 35/2</p>
<p><b>S</b></p> <p><b>safety [3]</b> 2/14 35/1 36/6</p> <p><b>said [1]</b> 40/8</p> <p><b>same [6]</b> 4/23 8/8 12/7 12/8 13/22 17/14</p> <p><b>say [5]</b> 16/9 16/16 17/10 18/11 25/13</p> <p><b>saying [2]</b> 6/16 7/5</p> <p><b>says [2]</b> 23/7 38/14</p> <p><b>schizophrenia [1]</b> 29/16</p> <p><b>School [1]</b> 2/7</p> <p><b>screen [8]</b> 6/14 11/12 12/5 18/5 19/6 22/18 24/3 27/17</p> <p><b>screening [1]</b> 6/11</p> <p><b>second [8]</b> 3/21 4/18 16/22 22/20 23/13 30/15 34/23 38/9</p> <p><b>secondary [1]</b> 20/6</p> <p><b>secondly [2]</b> 23/25 31/6</p> <p><b>section [6]</b> 18/5 27/22 32/4 33/2 35/7 37/22</p>				
<p><b>T</b></p> <p><b>t'other [2]</b> 5/23 7/17</p> <p><b>tailor [1]</b> 33/16</p> <p><b>tailor-made [1]</b> 33/16</p> <p><b>take [12]</b> 7/18 11/7 13/14 14/3 15/2 15/16 18/3 23/23 24/1 24/3 35/18 40/5</p> <p><b>taking [2]</b> 23/12 28/18</p> <p><b>talk [1]</b> 11/7</p> <p><b>talked [2]</b> 11/3 24/18</p> <p><b>talking [6]</b> 4/6 20/12 22/10 22/23 26/22</p>				

<b>T</b>	19/1 <b>threats [2]</b> 18/18 19/17 <b>three [2]</b> 12/20 27/6 <b>three o'clock [1]</b> 27/6 <b>through [9]</b> 7/1 8/21 27/5 27/19 33/20 35/13 36/1 40/18 40/19 <b>throughout [1]</b> 17/15 <b>tick [7]</b> 4/21 5/5 5/17 7/3 10/20 34/12 40/15 <b>tick-box [1]</b> 10/20 <b>ticked [1]</b> 34/7 <b>ticking [1]</b> 7/5 <b>ticks [1]</b> 27/24 <b>time [17]</b> 5/7 6/19 9/9 13/16 13/22 15/6 17/22 20/25 23/15 26/24 26/25 27/2 27/12 29/7 39/3 39/11 41/24 <b>times [1]</b> 12/16 <b>timing [1]</b> 24/4 <b>tip [1]</b> 28/7 <b>today [1]</b> 42/16 <b>together [1]</b> 9/11 <b>told [2]</b> 39/6 40/25 <b>tomorrow [1]</b> 42/17 <b>too [1]</b> 13/14 <b>took [1]</b> 14/12 <b>tool [23]</b> 12/22 12/23 13/5 13/8 13/20 14/4 14/16 14/22 14/25 15/12 15/17 16/1 16/5 16/6 16/7 16/8 16/8 16/13 16/16 16/16 17/11 17/12 17/15 <b>tool's [1]</b> 15/1 <b>tools [6]</b> 13/25 14/6 14/7 14/14 14/14 15/22 <b>top [1]</b> 5/24 <b>totally [1]</b> 17/21 <b>towards [1]</b> 22/7 <b>trained [1]</b> 24/12 <b>training [4]</b> 14/22 24/14 24/23 35/16 <b>translated [1]</b> 6/13 <b>traumatic [1]</b> 33/12 <b>travels [1]</b> 17/9 <b>treated [1]</b> 31/5 <b>treating [3]</b> 36/2 36/2 36/5 <b>treatment [6]</b> 19/25 25/2 31/1 31/7 35/11 36/4 <b>trigger [2]</b> 33/12 33/13 <b>triggers [1]</b> 37/5 <b>true [3]</b> 1/12 25/19 38/15 <b>trust [3]</b> 1/23 17/20 17/20 <b>trusts [5]</b> 38/1 38/11	40/24 41/21 41/25 <b>try [4]</b> 10/3 11/5 28/16 30/14 <b>trying [6]</b> 5/6 15/20 27/10 29/6 30/14 36/3 <b>turn [9]</b> 3/13 3/17 4/18 7/19 11/20 11/21 18/3 18/6 33/24 <b>turning [1]</b> 39/5 <b>two [16]</b> 5/9 5/16 6/24 10/9 11/11 12/21 12/25 17/2 22/8 22/9 23/4 27/25 30/21 31/15 31/18 33/19 <b>two hours [1]</b> 11/11 <b>two pages [1]</b> 33/19 <b>two paragraphs [1]</b> 17/2 <b>two weeks [2]</b> 22/8 22/9 <b>types [1]</b> 12/21 <b>typical [1]</b> 37/10	<b>use [12]</b> 12/9 13/10 13/20 14/4 15/1 15/22 16/1 16/15 17/21 24/22 29/1 35/11 <b>use totally [1]</b> 17/21 <b>used [10]</b> 6/12 14/8 16/5 16/17 17/6 17/11 17/12 17/14 17/15 37/15 <b>useful [8]</b> 11/17 13/18 13/25 14/17 15/12 16/16 17/16 37/12 <b>useless [1]</b> 5/10 <b>uses [1]</b> 7/6 <b>using [6]</b> 5/24 15/19 15/19 17/18 17/19 28/16	<b>way [5]</b> 8/12 14/13 25/21 36/8 39/10 <b>we [54]</b> <b>we'll [3]</b> 18/23 34/23 42/17 <b>we're [3]</b> 28/18 33/20 42/6 <b>we've [4]</b> 10/12 15/23 24/4 30/4 <b>weapon [2]</b> 22/10 28/12 <b>weapons [1]</b> 21/25 <b>week [3]</b> 8/16 23/6 23/9 <b>weeks [2]</b> 22/8 22/9 <b>weight [1]</b> 21/22 <b>well [18]</b> 9/11 15/6 15/8 15/12 20/18 21/10 21/16 25/6 25/18 26/20 28/9 32/1 33/4 34/17 35/16 36/10 39/3 42/15 <b>were [16]</b> 1/17 1/21 5/8 5/10 5/16 6/21 8/7 9/11 12/22 14/14 15/13 22/23 26/17 27/8 29/6 42/8 <b>weren't [1]</b> 40/8 <b>what [33]</b> 5/1 5/6 8/7 9/12 14/24 15/20 16/6 17/18 17/19 19/19 22/18 25/15 26/17 27/18 28/5 28/21 28/23 28/23 28/25 29/8 29/8 29/19 31/23 32/7 33/3 34/10 35/6 35/18 37/7 40/23 40/24 40/25 41/2 <b>what's [9]</b> 7/14 25/18 30/15 35/2 35/25 36/7 39/4 39/8 39/13 <b>when [21]</b> 4/3 7/25 14/9 16/12 18/8 19/16 19/16 19/20 20/15 20/21 21/5 21/13 21/20 22/23 27/5 27/7 32/11 36/25 37/20 39/1 42/7 <b>whenever [3]</b> 18/12 19/13 21/10 <b>where [12]</b> 11/10 13/16 13/21 14/18 20/6 25/2 26/9 28/24 29/1 29/15 34/9 36/11 <b>whereas [5]</b> 14/3 17/19 36/17 40/24 42/7 <b>whereby [1]</b> 5/16 <b>whether [9]</b> 11/7 21/25 22/1 22/9 30/3 30/21 34/9 35/10 39/19 <b>which [27]</b> 2/23 5/15 5/18 6/12 7/12 8/9 10/3 11/12 11/23 12/12 13/2 14/8 16/1
	<b>times [1]</b> 12/16 <b>timing [1]</b> 24/4 <b>tip [1]</b> 28/7 <b>today [1]</b> 42/16 <b>together [1]</b> 9/11 <b>told [2]</b> 39/6 40/25 <b>tomorrow [1]</b> 42/17 <b>too [1]</b> 13/14 <b>took [1]</b> 14/12 <b>tool [23]</b> 12/22 12/23 13/5 13/8 13/20 14/4 14/16 14/22 14/25 15/12 15/17 16/1 16/5 16/6 16/7 16/8 16/8 16/13 16/16 16/16 17/11 17/12 17/15 <b>tool's [1]</b> 15/1 <b>tools [6]</b> 13/25 14/6 14/7 14/14 14/14 15/22 <b>top [1]</b> 5/24 <b>totally [1]</b> 17/21 <b>towards [1]</b> 22/7 <b>trained [1]</b> 24/12 <b>training [4]</b> 14/22 24/14 24/23 35/16 <b>translated [1]</b> 6/13 <b>traumatic [1]</b> 33/12 <b>travels [1]</b> 17/9 <b>treated [1]</b> 31/5 <b>treating [3]</b> 36/2 36/2 36/5 <b>treatment [6]</b> 19/25 25/2 31/1 31/7 35/11 36/4 <b>trigger [2]</b> 33/12 33/13 <b>triggers [1]</b> 37/5 <b>true [3]</b> 1/12 25/19 38/15 <b>trust [3]</b> 1/23 17/20 17/20 <b>trusts [5]</b> 38/1 38/11	<b>U</b> <b>ultimately [3]</b> 12/11 13/9 33/21 <b>under [6]</b> 2/14 16/20 29/25 31/14 32/21 39/23 <b>underneath [2]</b> 38/8 38/13 <b>underpinned [1]</b> 8/20 <b>understand [5]</b> 11/3 15/1 15/18 15/20 31/4 <b>understanding [3]</b> 7/11 19/5 34/9 <b>understood [4]</b> 15/6 18/24 29/9 35/7 <b>undertake [1]</b> 2/10 <b>undertaken [1]</b> 18/9 <b>undertook [1]</b> 2/13 <b>unexpected [2]</b> 28/13 28/14 <b>university [2]</b> 26/9 26/11 <b>unknown [4]</b> 28/22 29/4 30/4 33/5 <b>unknown unknowns [1]</b> 33/5 <b>unknowns [3]</b> 28/22 29/5 33/5 <b>unlikely [1]</b> 28/10 <b>unpredictability [1]</b> 29/12 <b>unpredictable [1]</b> 28/14 <b>until [1]</b> 42/20 <b>up [9]</b> 3/17 8/11 9/16 11/20 27/10 28/16 33/18 37/14 39/6 <b>update [2]</b> 20/20 21/15 <b>updated [1]</b> 20/16 <b>upon [3]</b> 7/9 32/1 37/3 <b>us [2]</b> 3/9 27/10	<b>V</b> <b>vague [1]</b> 17/21 <b>valid [2]</b> 15/14 24/20 <b>validated [5]</b> 14/7 14/10 14/11 15/6 15/9 <b>validity [1]</b> 15/1 <b>value [2]</b> 28/2 41/2 <b>variable [1]</b> 40/13 <b>vary [3]</b> 21/2 21/18 31/16 <b>versa [1]</b> 36/23 <b>versus [1]</b> 8/25 <b>very [22]</b> 1/17 6/11 6/24 9/11 9/13 13/25 14/13 16/20 17/23 23/5 23/6 25/18 29/18 33/6 34/17 34/17 34/18 39/8 40/5 42/1 42/15 42/18 <b>vice [1]</b> 36/22 <b>victims [1]</b> 32/5 <b>view [10]</b> 5/1 6/20 13/24 19/13 20/8 23/23 25/4 38/18 40/17 41/8 <b>violence [15]</b> 7/7 12/2 15/15 18/16 18/18 18/24 19/5 23/20 29/3 30/3 30/5 30/8 30/20 30/21 32/25 <b>violent [4]</b> 19/17 30/10 30/11 33/14 <b>visiting [1]</b> 2/6 <b>voluntary [1]</b> 38/12	<b>W</b> <b>want [4]</b> 6/10 18/3 27/18 36/11 <b>wanted [2]</b> 32/11 41/16 <b>warm [1]</b> 36/22 <b>warning [2]</b> 37/1 37/6 <b>was [62]</b> <b>wasn't [7]</b> 3/10 5/20 6/25 7/20 9/2 16/7 24/14

<p><b>W</b></p> <p><b>which... [14]</b> 16/15 16/16 16/22 20/21 22/1 22/13 23/7 24/5 24/23 29/19 30/21 35/6 35/14 38/9</p> <p><b>whilst [2]</b> 31/20 31/24</p> <p><b>who [24]</b> 5/11 7/6 10/5 15/11 15/13 16/7 16/11 16/17 21/22 24/5 24/5 24/11 24/17 24/21 24/23 25/3 25/7 26/21 28/15 32/14 32/17 33/8 33/10 34/9</p> <p><b>who'd [1]</b> 29/7</p> <p><b>who've [1]</b> 32/10</p> <p><b>whoever [2]</b> 24/7 24/7</p> <p><b>whole [1]</b> 39/23</p> <p><b>wholly [1]</b> 7/9</p> <p><b>whom [1]</b> 20/25</p> <p><b>why [8]</b> 3/10 10/24 15/19 17/18 28/7 30/9 31/3 42/3</p> <p><b>wield [3]</b> 16/10 16/11 16/17</p> <p><b>wielded [3]</b> 16/7 16/13 24/22</p> <p><b>will [8]</b> 22/2 22/4 34/16 36/14 36/21 37/15 37/16 39/15</p> <p><b>withdrawn [1]</b> 37/13</p> <p><b>within [8]</b> 1/25 5/2 6/7 6/8 6/14 14/22 14/25 38/21</p> <p><b>without [2]</b> 5/18 7/12</p> <p><b>WITN0058001 [1]</b> 18/6</p> <p><b>WITN0058002 [2]</b> 11/20 27/17</p> <p><b>WITN0058009 [1]</b> 3/17</p> <p><b>witness [4]</b> 1/4 9/21 14/18 18/5</p> <p><b>wives [1]</b> 32/15</p> <p><b>won't [3]</b> 11/8 17/2 33/8</p> <p><b>word [1]</b> 6/10</p> <p><b>words [1]</b> 15/18</p> <p><b>work [11]</b> 2/10 2/13 3/6 8/12 9/6 9/15 17/24 22/24 38/6 38/18 40/9</p> <p><b>worked [1]</b> 29/7</p> <p><b>workers [2]</b> 24/14 24/24</p> <p><b>working [14]</b> 2/14 2/19 3/14 7/25 11/22 13/20 17/20 26/18 26/25 38/18 42/5 42/9 42/10 42/11</p> <p><b>world [1]</b> 6/13</p> <p><b>worry [1]</b> 11/4</p> <p><b>worrying [1]</b> 4/20</p>	<p><b>worse [1]</b> 31/8</p> <p><b>would [23]</b> 5/17 13/24 16/11 16/13 18/18 20/19 20/22 20/23 20/25 21/1 21/2 21/20 21/24 24/23 26/9 26/10 28/15 28/16 29/20 30/12 31/11 32/12 33/4</p> <p><b>wouldn't [3]</b> 15/16 16/9 22/16</p> <p><b>write [2]</b> 4/19 9/11</p> <p><b>wrong [1]</b> 15/17</p> <p><b>wrote [2]</b> 6/23 16/12</p> <hr/> <p><b>Y</b></p> <p><b>yeah [5]</b> 10/8 12/6 20/5 30/24 34/22</p> <p><b>year [2]</b> 15/13 21/21</p> <p><b>years [3]</b> 20/21 28/17 39/16</p> <p><b>yes [63]</b></p> <p><b>you [137]</b></p> <p><b>you'd [1]</b> 16/10</p> <p><b>you're [16]</b> 4/3 4/4 4/11 6/6 8/24 15/3 17/24 19/19 21/10 22/4 30/14 36/2 36/4 36/5 42/9 42/10</p> <p><b>you've [9]</b> 3/1 12/16 12/20 14/1 14/3 25/25 32/24 37/19 40/8</p> <p><b>young [2]</b> 21/21 32/18</p> <p><b>your [52]</b></p>			
---	---	--	--	--